

U.S. DEPARTMENT OF TRANSPORTATION

+ + + + +

PIPELINE AND HAZARDOUS MATERIALS
SAFETY ADMINISTRATION

+ + + + +

VOLUNTARY INFORMATION-SHARING SYSTEM
WORKING GROUP

+ + + + +

VIRTUAL MEETING

+ + + + +

WEDNESDAY
OCTOBER 3, 2018

+ + + + +

The Working Group met in the
Department of Transportation HQ Media Center,
1200 New Jersey Avenue SE, Washington, D.C. at
8:30 a.m., Diane Burman, Chair, presiding.

MEMBERS PRESENT:

HON. DIANE BURMAN, New York State Public Service
Commission, Chair
ERIC AMUNDSEN, Vice President, Panhandle
Energy/Energy Transfer Partners*
MICHAEL BELLAMY, General Manager, PII Pipeline
Solutions (GE)*
KATE BLYSTONE, Outreach Manager, Pipeline Safety
Trust*
BRYCE BROWN, Vice President, Group Strategy
Management, The ROSEN Group*
ROBERT BUCHANAN, General Manager, Seal for Life
Industries*

JASON CRADIT, Senior Director of Technology, TRC
Oil and Gas*

ALICIA FARAG, President & CEO, LocusView
Solutions*

MARK HERETH, Principal, Process Performance
Improvement Consultants

LEIF JENSEN, Senior Director of Asset Integrity,
Sunoco Logistics*

MIKE LAMONT, Vice President, Integrity Plus*

JOHN MACNEILL, National Safety Director, Utility
Workers Union of America*

ALAN MAYBERRY, Associate Administrator for
Pipeline Safety, PHMSA

RANDY PARKER, Vice President of Regulatory
Affairs, Kinder Morgan*

SIMONA PERRY, Research Director and Founder,
Pipeline Safety Coalition*

JOE SUBSITS, Chief Pipeline Safety Engineer,
Washington Utilities and Transportation
Commission*

CHRISTOPHER WARNER, Senior Vice President, Mears
Group, Inc.*

MARK ZUNIGA, Vice President of Information
Technology, UniversalPegasus
International, Inc.*

ALSO PRESENT:

CHRISTIE MURRAY, Director, Outreach and
Engagement, PHMSA; Designated Federal
Official

SHERRY BORENER, PHMSA

BILL CROCHET, Plains All American Pipeline

MICHELLE FREEMAN, PHMSA

CLIFF JOHNSON, Pipeline Research Council
International*

MAX KIEBA, PHMSA

ERIN KURILLA, American Public Gas Association

KAREN LYNCH, PHMSA

C.J. OSMAN, INGAA

SONAL PATNI, American Gas Association

PAUL ROBERTI, PHMSA

JOHN STOODY, Association of Oil Pipe Lines

MASSOUD TAHAMTANI, PHMSA

NANCY WHITE, PHMSA

*Present via telephone

CONTENTS

Welcome & Safety Brief	5
Committee & Staff Introductions.14
Call to Order/Open Statement18
Opening Remarks.22
Committee Business	
Agenda Item 1:	
Guidance on recommendation report outs and and voting Subcommittee Report Outs	
Mission and Objectives36
Regulatory, Funding, Legal48
Process Sharing.	104
Best Practices	151
Technology/R&D	152
Competency, Awareness, & Training.	188
Discussion and Q&A	
Lunch.	190
Agenda Item 2:	
Subcommittee Report Outs (Continued)	191
Discussion and Q&A	
Agenda Item 3	
Committee Preparatory Discussion	287
Action Item Recap and Closing Remarks.	303
Adjourn.	304

1 P-R-O-C-E-E-D-I-N-G-S

2 (8:30 a.m.)

3 DR. MURRAY: Good morning, everyone.

4 Thank you and welcome for joining us today for
5 our Voluntary Information Sharing Working Group
6 Federal Advisory Committee Meeting. I am
7 Christie Murray and I will be serving as the
8 designated Federal official for this meeting
9 today.

10 And I will be joined by Commissioner
11 Diane Burman, who will be serving as the Chair of
12 the Working Group. I want to thank those who are
13 able to join us. This is actually a virtual
14 meeting, where we have members of the parent
15 committee and members of the public joining us by
16 phone and in person.

17 So, this is a little bit of a
18 different structure than what we've had
19 previously. So, we appreciate your patience and
20 thank you for joining us both ways. The purpose
21 of our meeting is to ultimately fulfill Section
22 10 of the protecting our infrastructure and

1 pipelines and enhancing safety, which is the
2 Pipes Act of 2016.

3 This requirement asks the Voluntary
4 Information Sharing Working Committee to consider
5 the development of a voluntary information
6 sharing system that encourages collaborative
7 efforts to improve inspection information,
8 feedback, and information sharing with the
9 purpose of improving gas transmission and
10 hazardous liquid pipeline facility integrity risk
11 analysis.

12 Ultimately, this working group is to
13 provide recommendations to the Secretary of
14 Transportation. And the recommendations to the
15 Secretary must address the items listed here on
16 the screen. And let me just pause and say that,
17 for those who are -- have joined us by phone, you
18 should've received an email with the documents
19 that we will reference in today's meeting.

20 And also, there is a Skype link in
21 that email. If you'd like to join us and actually
22 dial into the presentation that we're displaying,

1 you have that option as well. And we are
2 referencing the PowerPoint presentation that you
3 were emailed on slide five.

4 The Voluntary Information Sharing
5 Group has been operating for almost two years
6 now. And earlier in 2017, one of the key
7 objectives of the working group was to develop a
8 strategic mission statement to really advise and
9 inform the work of the parent committee. At that
10 time, the working group developed the strategic
11 mission statement you see depicted here.

12 And there are some key elements that
13 are noteworthy to introduce again, as we start to
14 look at specific recommendations today.

15 Ultimately, the working group has reached
16 agreement to provide the Secretary of
17 Transportation with their independent advice and
18 recommendations on how to develop a secure,
19 voluntary information sharing system.

20 And I'm just going to highlight key
21 aspects of it that really encourages the
22 collection and analysis of information and other

1 appropriate data to improve pipeline safety, for
2 not just gas transmission, gas -- not just gas
3 transmission and hazardous liquid.

4 But also, you'll see an inclusion
5 which was not listed in the mandate itself for
6 gas distributions systems as well. So, I do want
7 to make that distinction in the mission
8 statement.

9 And the intent of the system will be
10 to provide a collaborative environment that is
11 proactive in nature and that can help facilitate
12 technological advancements and lead industry to
13 actionable outcomes. So, as we get started this
14 morning, I do want to cover a few housekeeping
15 items and safety messages.

16 One, for those who are here
17 physically, in the building, we're located in the
18 media center. And if you go back out of the exit
19 doors, immediately behind me to my right, you
20 will go out those doors, make a right, go to the
21 end of the hallway and make a left, and you will
22 find the restrooms at the end of the hallway.

1 Also, if you are a visitor to the
2 building, I just want to remind you that you will
3 need an escort if you want to move about
4 throughout the building or at lunchtime or when
5 we take a break, if you're out of this general
6 vicinity.

7 So, a PHMSA representative staff
8 member will be happy to help you in that regard.
9 Also, if you have not done so, please silence
10 your mobile devices, for those who are here in
11 the room. And for those who are on the phone, if
12 you have multiple things going on, or if you're
13 multi-tasking, we encourage you to mute your
14 phone lines individually until you are interested
15 in speaking or if you have comments. That will
16 help us to make sure that we can hear everyone
17 clearly.

18 And for those who desire to do so,
19 please feel free to raise your tent cards if
20 you're here, if you have a question, and I will
21 have the Chair, as she provides opening remarks,
22 give a little bit more information as to how she

1 would like to handle getting input from the
2 parent committee versus the public, as we engage
3 in discussion today.

4 For audience participation, please
5 hold your comments if you're on the phone and
6 you're a member of the audience or in person,
7 until the Chair actually reaches out and asks for
8 comments and questions from the public or from
9 the audience.

10 And try to keep your remarks brief,
11 less than five minutes, so that we can get as
12 much dialogue covered as possible with today's
13 meeting. And, of course, there is an
14 opportunity, if you'd like to submit written
15 comments, on the docket. The docket number is
16 PHMSA-2016-0128. And we're happy to have
17 comments placed on the docket.

18 In terms of safety, I do want to read
19 my safety disclaimer. We are located here, those
20 that are physically here, in the Department of
21 Transportation's conference center, media center,
22 located at 1200 New Jersey Avenue Southeast,

1 Washington, D.C. This building is alarm-
2 equipped.

3 And in an emergency, an alarm will
4 sound and provide information on actions we
5 should take. If we need to shelter in place,
6 such as a tornado, we will move to the interior
7 part of the building until otherwise directed.
8 If the emergency requires an evacuation from the
9 building, the exits from this room are located
10 behind me.

11 Go out these doors and immediately to
12 the set of clear doors on the left, outside of
13 this room. We will take -- go out of those doors
14 and make a right and follow that hallway down
15 until you get to the security area. And then,
16 you can exit out of the building and make a
17 right. And we'll walk all the back, across the
18 street, until we approach the waterfront. Our
19 rallying point is near the waterfront at the
20 fountain area. In both instances, we need to
21 account for everyone. So, please look to your
22 right and make sure that person is accounted for

1 in that event.

2 In the event that we have a medical
3 emergency, who is capable of providing emergency
4 aid or CPR? Is anybody CPR certified? If not, I
5 am. I'm a little rusty, but better than nothing.
6 So, I'm happy to assist. An AED is located --

7 MS. WHITE: Across the hall.

8 DR. MURRAY: Okay. Across the hall --
9 and it sounds like Nancy would voluntarily
10 retrieve in the even that we need it. Is that a
11 fair assessment?

12 MS. WHITE: I will get it.

13 DR. MURRAY: All right. Thank you.

14 MS. WHITE: You're welcome.

15 DR. MURRAY: And Alan has graciously
16 agreed to call 911 for medical services and then
17 call the headquarter security at 2-0-2-3-6-6-0-3-
18 3-3, to ensure the responders have access to the
19 location. If an earthquake occurs, remember to
20 drop, cover, and hold on. Additionally, if an
21 active shooter event is reported, the first
22 option is to run, hide, and then fight. And that

1 strategy is to evacuate and get somewhere safe.
2 Please look around you.

3 There are some tripping hazards. I
4 know directly behind me there is a power cable.
5 And there are some in the middle here, where --
6 the middle of the U table section. So, please
7 make sure that you pay -- have caution when it
8 comes to those items.

9 MR. HERETH: Dr. Murray?

10 DR. MURRAY: Yes.

11 MR. HERETH: As was the case last
12 month, I'll offer to sweep the room at the -- as
13 we all proceed outward, in the case of any event.

14 DR. MURRAY: Okay. And can you state
15 your name?

16 MR. HERETH: It's Mark Hereth.

17 DR. MURRAY: Thank you, Mark.

18 MR. HERETH: Thank you.

19 DR. MURRAY: Okay. So with that being
20 said, I will introduce our illustrious Chair,
21 Commissioner Diane Burman, and turn it over to
22 her for committee introductions, calling the

1 meeting to order, and opening remarks.

2 HON. BURMAN: Thank you very much.
3 Good morning everyone. I'm glad that you're
4 here, whether it's virtual or in the room. For
5 point of order right now, I'm going to do the
6 roll call so we can then establish that we have a
7 quorum. I'm going to ask those in the room at
8 the table to state their name and who they
9 represent. We'll start. We'll start with you.

10 MR. HERETH: I'm Mark Hereth with the
11 Blacksmith's Group, and I represent the industry.

12 HON. BURMAN: Okay.

13 MS. LYNCH: Good morning. My name is
14 Karen Lynch, and I'm a PHMSA representative.

15 MS. FREEMAN: I'm Michelle Freeman.
16 I'm also a PHMSA representative.

17 HON. BURMAN: Then, we'll go over
18 here.

19 MR. CROCHET: Bill Crochet with Plains
20 All-American Pipeline, representing the pipeline
21 industry.

22 MR. KIEBA: I'm Max Kieba, PHMSA rep.

1 MS. WHITE: Nancy White, PHMSA rep.

2 MR. TAHAMTANI: Massoud Tahamtani with
3 PHMSA.

4 MR. MAYBERRY: Alan Mayberry,
5 representing PHMSA on the committee.

6 HON. BURMAN: And Diane Burman,
7 Commissioner with the New York State Public
8 Service Commission, representing state public
9 utility commission. Okay.

10 And then, because it is a small group,
11 I'm going to have those -- and because there are
12 people, virtually, on the phone, we're going to
13 have those in the audience come and state their
14 name and who they represent, so folk on the phone
15 can know who's in the room. Yeah. I think they
16 can just kind of pass it. Thank you. And --

17 MR. OSMAN: C.J. Osman, with INGAA.

18 MR. STODY: John Stody, Association
19 of Oil Pipelines.

20 MS. PATNI: Sonal Patni, American Gas
21 Association.

22 MS. KURILLA: Erin Kurilla, American

1 Public Gas Association.

2 MS. BORENER: Sherry Borener, also
3 representing PHMSA.

4 HON. BURMAN: Okay. And also, for
5 those folks who are here in the audience, you can
6 also feel free to come to the table and sit if
7 you want. We don't -- you know, I think it's
8 cozy enough that we can do that, okay?

9 So, you can stay there too. You know,
10 don't hesitate if you decide you want to move to
11 the table. I'm also going to go down -- and some
12 folks are on the phone. Just say aye if you're
13 here. Eric Amundsen?

14 MR. AMUNDSEN: Aye.

15 HON. BURMAN: Michael Bellamy?

16 MR. BELLAMY: Aye.

17 HON. BURMAN: Kate Blystone?

18 MS. BLYSTONE: Aye.

19 HON. BURMAN: Bryce Brown?

20 MR. BROWN: Aye.

21 HON. BURMAN: Robert Buchanan?

22 MR. BUCHANAN: Aye.

1 HON. BURMAN: Dan Cote? Jason Cradit?
2 Dr. Ding? Alicia Farag?

3 MS. FARAG: Aye.

4 HON. BURMAN: Mark is here. Leif
5 Jensen?

6 MR. JENSEN: Aye.

7 HON. BURMAN: Walter Jones? Michael
8 Keller? Mike Lamont?

9 MR. LAMONT: Aye.

10 HON. BURMAN: John MacNeill?

11 MR. MacNEILL: Aye.

12 HON. BURMAN: Alan Mayberry is here.

13 MR. MAYBERRY: Here.

14 HON. BURMAN: Randy Parker? Holly
15 Pearen? Dr. Perry?

16 DR. PERRY: Aye.

17 HON. BURMAN: Eric Sherman? Joe

18 Subsits?

19 MR. SUBSITS: Aye.

20 HON. BURMAN: Michelle Thebert? Oh,
21 thank you, Joe. Michelle Thebert? Christopher
22 Warner? Mark Zuniga?

1 MR. ZUNIGA: Aye.

2 HON. BURMAN: Thank you. There is an
3 established quorum. And I call this meeting of
4 the Voluntary Information Sharing System Working
5 Group Committee to order. Just so we know, the
6 meeting will be captured in meeting notes. The
7 meeting notes and presentations will be available
8 on the PHMSA website and on the egov docket at
9 www.regulations.gov. The docket number for this
10 meeting PHMSA-2106-0136. I will ask folks in the
11 room to introduce yourself each time you speak so
12 your comments can be acknowledged in the meeting
13 transcript, as well as those folks on the phone.

14 For those folks in the room, set your
15 tent card on its side if you care to make a
16 comment, and we'll acknowledge phone participants
17 for comments as well. I just really want to
18 state that I do recognize that this will be a
19 little clunky because we have a lot of folks on
20 the phone.

21 And we do have some experience, having
22 done a virtual meeting with GPAC. And we will

1 get through, making sure that those folks on the
2 phone who want to weigh in, especially to the
3 extent that it's interactive, are able to do so.
4 We have a number of different folks who will be
5 helping facilitate that.

6 I am recognizing that this meeting is
7 an additional one from our original schedule to
8 try to get through some of the information that
9 we need to, while we are preparing and drafting
10 for the more hardcore, substantive, November
11 meeting. So, to the extent that, while it is
12 clunky and while we may not get through as much
13 as we do in normal meetings, because we also have
14 the pre-subcommittee meetings the day before, I
15 think we will be able to get through quite a bit
16 to help in facilitating the drafting of the
17 report.

18 I also am cognizant of the fact that
19 we don't want to rush forward on anything that is
20 controversial in our recommendations that needs
21 more of a fuller discussion at a larger, in-
22 person, more people in-person meeting.

1 So, I will also be focusing on that
2 and getting a read from comments of the things
3 that we hear, to make sure that we are
4 collaboratively moving forward. There is great
5 potential in a core functioning VIS.

6 And if done right, structured right,
7 with the proper funding, a VIS can lead to
8 significant improvements and achievements in
9 pipeline safety. We have taken a considerable
10 amount of focus on looking at other industries,
11 in particular, the aviation industry and FAA and
12 their achievements in their voluntary information
13 sharing practices, as well as others. This has
14 helped shape us and our thoughts and I think that
15 we are in a good position to help look at how to
16 move forward with the vision and issue
17 recommendations in a timely fashion that can
18 really help with the potential for a very good
19 VIS.

20 And we need to focus on the fact that
21 in the next few months, couple of months, there
22 will be a lot of hard work and collaborative

1 discussion to help make sound, appropriate, and
2 viable recommendations to the DOT Secretary,
3 which we'll then be able to utilize that for the
4 next steps, which may include what that may mean
5 in pipeline reauthorization or other things for
6 that focus.

7 So, we are really sort of laser-
8 focused on the viable and appropriate
9 recommendations and looking forward to that.
10 With that, I'm now going to turn it back over to
11 Christie to review the agenda and also make the
12 other proper introductions.

13 DR. MURRAY: Okay. Thank you very
14 much, Diane. I do want to introduce -- he's no
15 stranger to you guys -- but, Alan Mayberry, to
16 share any opening remarks he has. And then,
17 followed by our new Deputy Associate
18 Administrator for Policy and Programs, Massoud
19 Tahamtani, if I'm pronouncing your name
20 correctly, to do the same. So, we'll pass the
21 mike for opening remarks.

22 MR. MAYBERRY: Thank you, Christie and

1 Madam Chair. I just want to say, you know, on
2 behalf of the Secretary and Administrator, Skip
3 Elliott, thank you for your participation, for
4 you members and those present today.

5 I tell you, not a, you know, a speech
6 goes by, a meeting goes by -- it's a rare
7 occasion if we don't mention this group's
8 efforts. And just want you to know, we're
9 excited at the prospects. We have a lot of
10 anticipation.

11 You know, and being a member of the
12 group, I'm excited about the, you know, the
13 discussion, the ideas, that are being floated
14 about. And, you know, we're getting down to
15 crunch time here.

16 I think the Secretary will be pleased
17 with the array of options that, you know, we will
18 have. You know, we're excited about this for a
19 number of reasons. I -- you know, obviously, you
20 know, we'll continue to have and improve our
21 regulatory approach, you know, with the
22 foundation and regulation.

1 But, we do see a key aspect of
2 pipeline safety being what can go beyond, you
3 know, mere compliance or following of
4 regulations. So, you know, that's where the
5 system's approach to safety comes in right now,
6 where we're promoting, you know, the adoption of
7 safety management systems.

8 A key piece of that, obviously, is the
9 ability -- you know, part of that is the ability
10 to share information across organizations. So,
11 your efforts, you know, to guide us to find a
12 possible solution, you know, really very
13 important to us and to the pipeline safety.

14 So, I just wanted to say, keep the
15 faith. It's hard to believe we've been here
16 going on two years. I know, at times, with
17 groups, committees, you can have fatigue. I've
18 not seen that with this group. I think it's very
19 eager still.

20 So, I just commend you to that, with
21 that, and also to encourage you to, you know,
22 keep going. We're close to the end. We have a

1 very aggressive schedule, I know, to conclude by
2 December. I think we can meet it. But we do
3 also want to ensure that we have quality.

4 So, you know, I appreciate your
5 efforts there. As Christie had noted, we do have
6 a new member of our leadership team. I'm pleased
7 that Massoud Tahamtani joined us going on, I
8 guess, about three weeks ago.

9 And pleased to have filled out our
10 leadership team in the Office of Pipeline Safety.
11 I think, with that, I'll turn it back over to
12 Madam Chair or -- unless Massoud, I think, you
13 just wanted to say hello?

14 MR. TAHAMTANI: Yes. Hello,
15 everybody. Although I have not attended any of
16 the meetings formally, I have kept track of the
17 work, the fine work, that this group has done.

18 I'm happy to be here and look forward
19 to working with you and helping in any way I can,
20 to hopefully meet the deadlines to make a
21 recommendation to the Secretary, hopefully, far
22 before the reauthorization process starts. Thank

1 you.

2 HON. BURMAN: Thank you very much.

3 DR. MURRAY: Okay. So, next what we
4 will do is introduce the agenda that we will
5 cover today. For the most part, the focus of
6 today's meeting will be to hear from each of the
7 subcommittees and to give report-outs.

8 And, specifically, talk through the
9 recommendations that have been developed and
10 those that are being proposed for parent
11 committee vote. Recognizing that there are seven
12 subcommittees and we want to make sure we use the
13 time effectively, I'll give a little bit more
14 guidance.

15 Diane and I will both show more
16 guidance in terms of how we will handle report-
17 outs. We'll take a break for lunch and lunch is
18 on your own. There are a lot of restaurants
19 outside of the building, if you're interested and
20 headed out of the building and you need an escort
21 out or you need help getting back in, we can
22 certainly help you with that.

1 We also have a cafeteria over in our
2 east building, that if you are also a guest here,
3 we can help escort you over for lunch. Let us
4 know at a break or at lunchtime, and we're happy
5 to assist. And then, coming back from lunch, I
6 suspect there will still be good dialogue going
7 on about some of the recommendations, so we will
8 continue where we left off, maybe make some
9 adjustments if we need to, based on how the
10 morning has gone.

11 And then, we'll leave a little time in
12 the afternoon to prepare for the November 8th and
13 9th meeting, which is really right around the
14 corner in about a month from now.

15 So, it's going to come upon us pretty
16 quickly. And then, we'll recap with any action
17 items and closing remarks we might have. Any
18 questions or comments about the agenda? Any
19 comments or questions on the phone? Any
20 audience?

21 MR. STODY: John Stody with ALPI.
22 Let's just -- looking at the agenda, how you

1 envisioned it playing out, you have report-outs
2 and voting on subcommittee report-outs both in
3 the morning and afternoon.

4 Do you see that as a continuation of
5 the same or are those different types of
6 activities, or how does the morning differ from
7 the afternoon in terms of your agenda items?

8 DR. MURRAY: Good question and thank
9 you. That is a continuation of the same. So, we
10 will start out and Diane will describe a little
11 bit more of the order in which she'd like to hear
12 from the subcommittees. And those that we don't
13 get to this morning, we will work to get through
14 their recommendations in the afternoon.

15 HON. BURMAN: If it's okay, I think at
16 this point, I'd like to turn to the subcommittee
17 report-out process slide. Could that be --

18 DR. MURRAY: Okay.

19 HON. BURMAN: Most helpful. This may
20 answer your question.

21 DR. MURRAY: All right. Just press
22 forward.

1 HON. BURMAN: Hi, Randy. Did you just
2 join us?

3 MR. PARKER: Yes. I had called in on
4 the number and I've been on since 8:45.

5 HON. BURMAN: Okay. So, you didn't
6 miss much, except you have a ten working tasks
7 that were assigned to you.

8 MR. MAYBERRY: I thought it was 11.

9 HON. BURMAN: Right now, we're just
10 getting started on the subcommittee report-out
11 process. I think this may be helpful to sort of
12 set the stage on how we're going to handle sort
13 of going through.

14 We're going to be going through the
15 subcommittee report-outs. We have seven
16 subcommittees to report-out. All except for the
17 reporting subcommittee, I believe, has submitted
18 written reports and we're going to kind of go
19 through it.

20 One of the things for me is, as we
21 look at it, which is the next -- right -- is that
22 when you summarize your recommendations, I'm

1 going to turn it over to Christie now to walk
2 through this.

3 But, we're focused on, again, looking
4 at what we can do to move forward rapidly, except
5 to the extent that we have issues that we need to
6 develop. It will be helpful in terms of being
7 open to different approaches.

8 And I'll get a read from the
9 discussion what we've done from other meetings,
10 understanding it's a little clunkier this time.

11 DR. MURRAY: Okay. Thank you.
12 Everyone should have in their email, a copy of
13 the VIS Working Group Consolidated
14 Recommendations. It is a PDF document. It has
15 multiple pages to it.

16 And what we tried to do is end that
17 out in advance for the committee to have at least
18 six days, to try to get it out in enough time for
19 you to have an opportunity to just peruse and to
20 see if there are any initial comments and
21 thoughts you have on the recommendations.

22 So, that will be the primary documents

1 that we'll be referencing for the report-outs
2 today. We will like to hear from subcommittee
3 chairs or their designee. And I recognize that
4 some chairs have other commitments and may not be
5 able to be here on the phone or in person.

6 So, I know there are some
7 conversations about who will cover their
8 recommendations. So, we will hear them, share
9 those recommendations and summarize them
10 concisely. And we will give the parent committee
11 members an opportunity to provide feedback and to
12 ask questions to help clarify what it is that
13 they're digesting and to see if there are
14 recommendations or other concerns that need to be
15 addressed.

16 I think the key aspect is that there
17 are four, really important areas to focus on when
18 you're looking at the recommendations. Consider
19 the context and the actions that are being
20 proposed in each recommendation.

21 Look at the recommendations with the
22 lens of making sure that you understand what's in

1 the recommendation. If it's practical and if
2 it's achievable, making sure that, you know, the
3 recommendations that are being proposed are
4 things that can actually be executed.

5 Also, ensure that the recommendations
6 are clear. And if it's not clear to the parent
7 committee, I guarantee you it won't be clear
8 outside of the working group. So, you need to be
9 thinking about that too.

10 If you're just looking at it for the
11 first time and you haven't spent two years
12 talking about some of these matters, would it
13 still make sense? And then, does it use plain
14 language? Are there grammatical issues? My
15 recommendation is that we don't spend time here
16 word smithing for plain language or grammatical,
17 but we simply say, this recommendation could use
18 some refinement in terms of plain language or
19 there are grammatical issues that need to be
20 addressed outside of the meeting.

21 Since we have quite a few
22 recommendations, it may not be prudent to spend

1 the valuable brainpower we have word smithing it
2 in this forum today. There could be several
3 different approached to voting.

4 And I think Diane touched on it. One
5 of which is to bring forward items that the
6 subcommittees and the chairs, A, are ready to
7 vote on. That's obvious. There may be some
8 recommendations that you're ready to vote on and
9 you have buy-in from your subcommittee.

10 And there may be other recommendations
11 that still need to be flushed out. Please
12 specify them as you discuss each recommendation.
13 Also, I -- if there are recommendations that are
14 more controversial, as Diane mentioned, then I'm
15 sure there will be recommendations or Diane may
16 actually pause and say this one needs further
17 refinement, and it won't be brought forth for a
18 vote.

19 And then, there may be some items that
20 make sense to be voted on as you hear other
21 subcommittee recommendations. For example, I
22 know the Mission and Objective Subcommittee has a

1 governance component with an option A and an
2 option B.

3 And the Legal Regulatory -- Legal
4 Funding and Regulatory has an option A and an
5 option B. If there is a situation where it makes
6 sense to say, we should probably vote on those at
7 the same time, then please bring that
8 recommendation forward too.

9 And that can come from anybody on the
10 parent committee, if you are sensing that that
11 may be appropriate. Also, I will leave it up to
12 our Chair to determine if the vote should happen
13 on all rules recommendations that have been
14 introduced by a subcommittee, if she would like
15 to hold the vote for all the appropriate ones
16 that are ready for a vote at one time, if she
17 would like to vote per recommendation, vote on a
18 whole group of recommendations, or as I
19 mentioned, along with other subcommittee
20 recommendations.

21 So, I think that is left flexible,
22 because we'll need to see the nature of how the

1 discussion goes before we can really decide
2 what's going to be the best approach. But, those
3 are the different options that we'll all need to
4 think about as we move forward.

5 HON. BURMAN: And, I'm also -- are you
6 setting off the hand?

7 MR. MAYBERRY: I'm trying.

8 HON. BURMAN: Okay. So, they're
9 trying to set up for the -- on the WebEx, so that
10 you could raise your hand virtually so that we
11 can easily call upon you if you have a question.
12 So, I believe that will work like it did with the
13 GPAC meeting.

14 I am also -- I do want to, before we
15 go into the next focus which is the subcommittee
16 report-outs, I do want to address -- at the last
17 meeting there was a question from the audience
18 about opportunities for public comment.

19 And, as we said, we would take it back
20 to PHMSA to look at and work with us so that we
21 can have public comment opportunities. Working
22 with their legal team, we were able to get

1 authorization that PHMSA will post the draft
2 recommendation report on the docket for public
3 comment and that members of the public can then
4 be submitting comments on the working group's
5 recommendation report.

6 We were told by legal that the report
7 cannot be edited based on those comments. But,
8 it's important for us that those public comments
9 do accompany, in some fashion, the recommendation
10 report.

11 And so, I think the way we're going to
12 do it is there will be a memo to the DOT
13 Secretary that has attached, not only the report,
14 but the public comments. Depending on the amount
15 of public comments and the necessity, we will try
16 to also encourage a public comment summary to go
17 with that in some fashion.

18 And so, to the extent that we can do
19 that and it's appropriate. The committee itself,
20 again, is not allowed to make edits based on
21 those comments. So, we're going to be cognizant
22 of that. And that's why the separate memo

1 attached, I think, is helpful.

2 So, I think that will clarify. And
3 also, we've had, during the meetings,
4 opportunities for, you know, raising issues when
5 we go to the audience participation part. Okay?

6 With that, I'm now going to turn,
7 unless there's anyone that has any questions in
8 the room, on the phone, while we're still setting
9 up the hand-raising, you're all able to speak
10 right now if you need to. So, if I hear nothing,
11 we're going to go now to the first report-out
12 from the Subcommittee on Missions and Objectives.

13 DR. MURRAY: And if we understand
14 correctly, Randy, you will be speaking on behalf
15 of Dan, since he's unable to join us?

16 MR. PARKER: That's correct. Dan
17 can't be here. So, I'm just going to take you
18 through missions and objective.

19 DR. MURRAY: Okay. Thank you. And
20 Paul, if you could pull up the document with the
21 recommendation, consolidated recommendations, we
22 will follow along. And I don't believe Skype has

1 the ability to raise your hand. But what it does
2 have, Diane, is the ability to instant message.

3 HON. BURMAN: Okay. Good.

4 DR. MURRAY: So, if you have a
5 question, I'm actually following that. And just
6 say, Christie, I have a question or just say I
7 have a question and we will use that in the same
8 regard to make sure that we are paying attention
9 to those who wish to comment.

10 HON. BURMAN: Perfect. Okay.

11 MR. JENSEN: Christie, this is Leif
12 Jensen. Unfortunately, I'm not able to upload
13 the Skype application. So, I'll just chime in,
14 short of sending an instant message on Skype.

15 DR. MURRAY: Okay. And we will
16 periodically remind you of which page we're on,
17 as you reference -- you do have the hard copy
18 document to reference along with us, Leif?

19 MR. JENSEN: Yes. I do.

20 DR. MURRAY: Okay. So we will
21 periodically try to remind him. Just flag us if
22 we -- if you get lost and you're trying to figure

1 out where we are and we'll be happy to make sure
2 that you're able to follow us.

3 MR. PARKER: Christie, this is Randy
4 Parker. I have the same problem. I can't get
5 Skype to work. So, I will refer to pages and
6 interrupt if I have questions.

7 DR. MURRAY: Okay. Thank you, Randy.

8 HON. BURMAN: So, Randy, if you're
9 ready, you can start Commission on Objectives.

10 MR. PARKER: Okay. Thank you, Diane.
11 As you recall on August 23rd -- the parent
12 committee has directed us on our subcommittee to
13 look at some alternatives to the model that we
14 had presented, which is essentially option A.

15 So, we had numerous meetings in our
16 subcommittee and formulated option B and further
17 refined option A. So, option A begins on page 2.
18 And the primary difference is that in option A --
19 is primarily led by PHMSA, their program office,
20 but also equal representation on the board with
21 industry.

22 And the thing with option B is more of

1 a stand-alone industry organization with PHMSA
2 invited to participate at various levels. But,
3 it's essentially run by institutions. So, those
4 are the two main differences. Without going
5 through line-by-line, I'll just point out some of
6 the recommendations on each. Option A, as I
7 said, on recommendation one, we talk about the
8 four parts, the federal leadership, the executive
9 board run by PHMSA and industry and then, and
10 issue analysis team and a third-party paid
11 provider.

12 And each of those four parts would
13 have particular tasks to undertake. So, the
14 executive board, under recommendation give
15 through the executive board, would be co-chaired
16 by industry and PHMSA.

17 And then, the issue analysis teams
18 would put together recommendations to the board
19 regarding certain areas of research that are
20 needed and what should be studied and what should
21 be published.

22 And the third-party data provider in

1 recommendation five is a stand-alone, contracted
2 agency that is a third-party who will make sure
3 that all of our confidentiality protections are
4 implemented correctly.

5 And those confidentiality provisions
6 are supported in recommendation six through
7 various policies, contracts, non-disclosure
8 agreements, et cetera. And then, the information
9 dissemination would be covered through the board.
10 And there would be various tiers which is quite
11 interesting -- tiers of data that certain
12 participants may see or not see.

13 And if you look through the five tiers
14 on page 4, you'll see how that is fenced off on
15 those different levels. Also on page 4, you can
16 see that the organization, under option A, is
17 outlined in the org chart.

18 And you can see that PHMSA has a
19 direct role in the executive board and a direct
20 role in the data analysis team. So for -- and
21 stop me any time if you have questions. But I'm
22 going to go ahead and talk now about how option B

1 is different.

2 HON. BURMAN: Randy, hi. This is
3 Diane Burman. I just want to give food for
4 thought as we discuss this. One of the things
5 that would be helpful is sort of a side-by-side
6 chart, in terms of the differences.

7 I kept flipping back and forth and a
8 lot of the -- between option A and option B. And
9 there were a lot of similarities. So, it wasn't
10 that we were having a whole different option A
11 versus option B.

12 MR. PARKER: Um-hmm.

13 HON. BURMAN: So, to the extent that
14 we highlight, in some fashion, the differences
15 and then, do you envision that -- obviously not
16 today, but do you envision that folks would be
17 deciding whether they want the report to have
18 option A or option B or put it out there and talk
19 about considerations or challenges or -- for
20 doing one over the other?

21 MR. PARKER: Yes. I had the same
22 problem that you did in terms of highlighting the

1 differences. And I was thinking the same thing
2 last night, that we really need a chart that
3 shows that.

4 So, we will put that together. But,
5 I think that we're down to the point where the --
6 both the parent committee needs to really wrestle
7 with whether you want to go with option A or
8 option B, because they're very -- the differences
9 are mainly that option A is at least co-run, if
10 not primarily led by PHMSA, DOT.

11 And option B is funded and run by
12 industry. So, that's a major difference. We're
13 not making a recommendation one way or the other
14 for the parent committee. But, we think that we
15 should have a good discussion about it and vote
16 on which option we want to pursue.

17 HON. BURMAN: Okay. Thank you.
18 That's helpful. You can continue. Thanks.

19 MR. PARKER: Okay. So, if you look at
20 option B on page 7 -- look at the organization
21 chart there. You can see that PHMSA's role in
22 option B would be as an invitee to the executive

1 board.

2 And they would interact and recommend
3 policies. But, they -- PHMSA would not really
4 have any power with respect to the organization.
5 A lot of the other functions would be very
6 similar.

7 MR. MAYBERRY: Hey, Randy, this is
8 Alan Mayberry. Quick question. On option A with
9 PHMSA, would that include an option that would --
10 say, you know, as we saw the FAA had with NASA
11 and we've seen contract -- contractors, you know,
12 running these systems. But, is that -- would
13 that be covered by option A, somewhat?

14 MR. PARKER: Yes.

15 MR. MAYBERRY: Okay.

16 MR. PARKER: Yeah. The third-party
17 data provider, for instance, could be NASA or any
18 other organization.

19 MR. MAYBERRY: Right. I guess that's
20 in the details of option A I didn't fully read.

21 HON. BURMAN: It's in that chart.

22 MR. MAYBERRY: Okay.

1 MR. PARKER: Yes. If you look at page
2 6, Alan, recommendation five?

3 MR. MAYBERRY: Okay. There you go.
4 Okay.

5 MR. PARKER: It talks about how the
6 third-party data provider would interact with not
7 only PHMSA's office, but -- program office, but
8 also with the entire organization.

9 MR. MAYBERRY: Okay. I'm good.

10 MR. PARKER: And again, this would be
11 something that would be funded by DOT. So, you
12 know, you'd have a contract between PHMSA and a
13 third-party data provider.

14 Whereas, in option B, it would be
15 funded solely by industry. So, the executive
16 board and the CEO of option B would contract with
17 a third-party data provider.

18 HON. BURMAN: Just before you
19 continue, I'm just going to see if anybody here -
20 - or Mark, I'm sorry.

21 MR. HERETH: It's okay. Mark Hereth,
22 from the Blacksmith Group. Randy, is there any

1 reason that, in option B, that there couldn't be
2 a provision that would allow for PHMSA providing
3 some level of funding, similar to what's done in
4 research and development efforts?

5 MR. PARKER: No. I don't think that
6 there's anything that would prevent that. I
7 would have to be developed and described.
8 Because, you know, you would need to go Congress
9 and get the funds.

10 But, you can still -- the Secretary
11 could still use discretionary R&D money, like we
12 recommended in the regulatory legal and funding
13 report. That could be used as a way to start the
14 project. But, you would still, I guess, have to
15 go back and get regular funding to continue it.

16 MR. HERETH: So, could we ask that
17 legal staff look at whether or not we could
18 include a provision at least recognizing in this
19 option B that PHMSA could provide funding or
20 identify if there's any obstacles to that?

21 MR. PARKER: Yeah. I think that is --
22 that's worth looking at and we can take that on.

1 MR. HERETH: And then, I have one
2 other comment. At a high level, would it be --
3 could we say that the difference between option A
4 and option B is that option A is administered by
5 PHMSA and option B, the system is administered by
6 the private sector, by industry, an industry
7 organization, potentially?

8 And that in both cases, there's an
9 executive board that has representation of
10 essentially the same stakeholder groups. Is that
11 a way to summarize this at a very high level?

12 MR. PARKER: That's a good way to
13 summarize it, Mark, with the exception of PHMSA
14 would have really no authority under the
15 executive board in option B, unless the executive
16 board chose to delegate some authority to PHMSA.

17 MR. HERETH: Okay.

18 MR. PARKER: Otherwise, all of the
19 stakeholder groups are still represented. Yes.

20 MR. HERETH: Yeah. So, I think the
21 distinction I'm trying to make sure that I
22 understand is it seems that in each case, in the

1 executive committee or the executive board, all
2 stakeholder groups are represented. And that the
3 significant difference between A and B is really
4 who is administering the program. Is that not
5 the case?

6 MR. PARKER: I would say, no
7 administering the program, but who has the
8 authority, the legal power to run the program.

9 MR. HERETH: Okay. That's helpful.
10 That's helpful.

11 MR. PARKER: And, yeah, under option
12 A, the legal authority to run it would be
13 whatever legal authority DoT and PHMSA exert
14 under their usual authorities or, if we get what
15 we requested for option A from Congress, they
16 would have specific authority.

17 Whereas, in option B, PHMSA's normal
18 authority would not change. It's just that the
19 industry would have to put together an
20 organization, run it, you know, be responsible
21 for it, and raise all the money for it.

22 So, it's a different animal, you know?

1 But it can be done either way because we've seen
2 in the aviation industry that some of the
3 programs are completely industry, voluntary
4 programs.

5 But that they interact with the FAA
6 for purposes of their responsibilities and
7 sharing of information. Other programs are run
8 and funded by FAA. So, you can do it either way.
9 I think it's a choice that the committee needs to
10 think about.

11 The other difference that I think
12 stands out to me is that PHMSA is an existing
13 organization, of course. And they go for the
14 reauthorization and funding, regularly before
15 Congress.

16 Whereas, in option B, industry would
17 have to stand up with an organization that
18 doesn't exist right now. And also, we'd have to
19 figure out how to fund it.

20 MR. HERETH: No. That's a fair point.
21 And I think, to go back to our discussion last
22 month, I think that one of the things that we

1 also asked was that the subcommittee -- and maybe
2 it's the subcommittees, because it's maybe
3 regulatory, legal, and funding as well, to find
4 some sort of a table that shows the pros and cons
5 of each of these alternatives or options.

6 Because that's arising in the course
7 of this discussion and I don't know that it needs
8 to be in that same table that Commissioner Burman
9 is talking about. By the way, I think that's a
10 great idea. But -- and then, it also begs the
11 question of should we consider -- and I just
12 offer this for consideration.

13 The table that Commissioner Burman's
14 talking about, should it also weave in the
15 regulatory and legal and funding aspects into one
16 table? So, that in one place, you see it all,
17 even though it cuts across two subcommittees.

18 MR. PARKER: No. I think that -- I
19 think that's an excellent recommendation, Mark.
20 And we will roll up our sleeves and prepare that
21 table promptly. I think it won't take that much
22 work because we've discussed --

1 MR. HERETH: Right.

2 MR. PARKER: The differences and
3 similarities all along the way. So, it's just a
4 matter of sitting down and producing that
5 document. I think that will be very helpful when
6 people get to the point where they're ready to
7 vote on one or the other.

8 HON. BURMAN: This is Diane Burman.
9 I also think in that same chart, having a section
10 on sort of, you know, the comment section really
11 in terms of why this one may be better than
12 another or different challenges.

13 Especially because, as we are looking
14 at option A and option B, I think a lot of them,
15 one, kind of fuse together. But, there may be
16 sort of an out-of-the-box opportunity to combine
17 some aspects of A and B and get to the same, sort
18 of, core goal and objective, where we can kind of
19 work through by looking at that chart and see how
20 similar they are and what some of the striking
21 differences are and why one particular aspect of
22 it is a must or can fold away.

1 So that, I think, will be helpful.
2 So, I kind of look at this as us needing to work
3 through this, listening more to people's
4 comments, especially about what is really a core
5 need or concern. And focusing not only just on
6 how we see it, but how others are looking at it.
7 And also, they may be seeing it and they have a
8 difference of opinion.

9 To the extent that we're also looking
10 at it from a funding perspective, some of that
11 can be done outside of the core framework of what
12 the leadership looks like to them, what that
13 means, and fold into that.

14 The other comment I have, just in
15 terms of looking at both of them, is taking some
16 of the core issues like the data provider piece
17 of it, and also seeing how that gets dovetailed
18 into Michael Bellamy's group that may have some
19 more substantive issues.

20 So, to the extent that we identify
21 today which groups also need to look at it and
22 they weigh in more holistically, so that our

1 November meeting -- really, we have a -- kind of
2 frame out a lot of these different issues for
3 consensus. With that, does anyone else have a
4 comment on the phone?

5 MR. JOHNSON: This is Cliff Johnson
6 with PRCI.

7 HON. BURMAN: Okay. And then, after
8 you, we're going to talk to Simona Perry. And
9 then, we're going to take comments over here in
10 the room too. So --

11 MR. JOHNSON: All right. Great.
12 Thanks so much. Well, good morning. One thing
13 to think about, and this is kind of a second
14 point of view a little bit, but you see two very
15 diametrically opposed options to one that's
16 government led and one that's industry led.

17 I think both of them have some
18 perception and some reality challenges we need to
19 be careful with. And I've given you a highworking
20 look for a model a little bit for an option C.
21 And if you look a PHMSA-led project, sometimes
22 that means that industry's going to be hesitant

1 to engage and to fully participate.

2 When it's purely industry-led, the
3 public then has lower confidence that we're
4 trying to achieve goodness. So, I think we need
5 to really consider if there is a way to, for lack
6 of a better term, blend these two options
7 together in a third option that allows for an
8 engagement both on the PHMSA side and industry
9 side.

10 I kind of think we're partners for the
11 process. I think it's important that we leverage
12 the efforts from both sides to really capitalize
13 what we're trying to do. Because the public
14 perception's going to be very important to the
15 success or failure of this option.

16 And industry engagement is going to be
17 a critical discussion as well. I think that one
18 of the options that we've discussed before is
19 with the coalition of the willing and will people
20 be willing to participate if they see themselves
21 as part of the decision-making process and the
22 way to engage, both on the PHMSA side and on the

1 industry side.

2 So, if you go to the purely industry
3 option, PHMSA's going to feel a little bit
4 relegated to a second class citizen. And again,
5 the perception of the public is, maybe they're
6 not doing their best for the greater good and
7 it's more self-serving for the industry.

8 Just a few ideas, just to think about
9 as you look at this from kind of a third party
10 point of view and how the public's going to
11 receive some of the comments and where we need to
12 go, exactly.

13 HON. BURMAN: Thank you. Right now,
14 we're going to -- Simona Perry. And then, we're
15 going to go in the room. Simona?

16 DR. PERRY: I think, yeah, thank you.
17 Yes. To what the person just said, I actually as
18 a public safety advocate, would be highly opposed
19 to option B. However, I believe there might be
20 option C that might be worth considering.

21 I just wanted to propose that for
22 maybe later discussion in November. What about

1 if, you know, we had that -- we had the option A,
2 as it is now, read, for a period of time? And if
3 there was a time period in which there was a
4 transition to maybe having things more industry-
5 led in the future.

6 But, that time period would have to be
7 understood and very clear. And it would have to
8 be this trust-building -- it would have to be
9 done between not only the industry and the
10 regulators, but also with the public, which I --
11 because I believe that this all hinges on trust
12 and how we communicate risk.

13 And there needs to be goodwill shown
14 by the industry in the sense that they are trying
15 to be open and transparent about what's
16 happening. That's not because they're going to
17 share data openly about their industry
18 operations, but because they want to do the right
19 thing and protect public safety and prevent
20 deaths and injuries and environmental damage. So
21 that was all I needed to say. Thank you.

22 HON. BURMAN: Thank you, Simona.

1 Right now, we're going to go in the room. And
2 then, we're going to go back to the phone. Kate
3 Blystone has a comment.

4 DR. BORENER: Thank you very much.
5 This is Sherry Borener. I'm with the PHMSA
6 staff. I wanted to ask a couple of questions of
7 the options. The first question has to do with
8 confidentiality and how that's guaranteed in the
9 -- in option B, because I think that's one of the
10 questions that comes up.

11 I mean, that's probably a primary
12 requirement from science experience. And
13 guaranteeing confidentiality in both cases is
14 something that has to be addressed. And, of
15 course, that's a question that the legal group
16 has to look at.

17 But, the second one I think is more
18 imperative, which is equity. So, we heard from a
19 private firm that provides a confidential
20 reporting system during one of our deliberative
21 meetings. I think it was the one at the federal
22 highway. And the thing is that the buy-in cost

1 is quite high.

2 So, where risk resides might be with
3 smaller operators with less resources. And they
4 also might not have the -- the resources to join
5 or to fully participate. So, we really need to
6 creatively finance.

7 If we choose option B, there has to be
8 a creative financing solution. And one might be
9 to grant -- you talked about the research and
10 development capability. You can also provide a
11 grant structure that would allow people to
12 participate and the grant be commensurate to the
13 level of their participation.

14 So, there's a lot of different ways
15 that the financing could be addressed for option
16 B. But, I do want to put on the table that
17 equity is important.

18 The other reason I'm not sitting at
19 the table is because I have the flu and I have a
20 big Q over my head. So, I'll be at the back of
21 the room from this point on. But, there we are.
22 Thank you.

1 HON. BURMAN: Okay. Thank you very
2 much. We're going to go to Alan Mayberry in the
3 room and then Kate, I haven't forgotten about
4 you.

5 MR. MAYBERRY: Yeah. Thanks. You
6 know, as I look to the statute, you know, it's
7 like going back to the source document. You
8 know? I see, you know, it does say -- talk about
9 creating options for a secure system.

10 So, to that end, I say, well, you
11 know, perhaps we're really looking at, you know,
12 showing options to the Secretary that would
13 include, you know, A and B or a hybrid. I must
14 say, I do have concerns wholly with the option B,
15 just because I think -- you know, I think Cliff
16 characterized some of the concerns that would
17 obviously be there.

18 I think, you know, we've traditionally
19 been considered sort of the honest broker of, you
20 know, developing the national, uniform standard.
21 I realize, in this case, we're talking about a
22 system that kind of takes the regulatory hat out

1 or that creates apprehension to create an
2 environment where, you know, information is
3 shared freely. But, I think there are solutions
4 to do that in option A. But, you know, I like
5 the hybrid idea too. And, yeah, I think that
6 about covers it for now. I might have some other
7 comments too.

8 HON. BURMAN: Okay. Kate, and then
9 we're going to go to folks in the room, audience
10 members. So, Kate?

11 MS. BLYSTONE: Good morning, everyone.
12 So, I don't think it should come as a surprise
13 that I am more in support of option A than I am
14 of option B.

15 We had a pretty extensive discussion
16 at the Pipeline Safety Trust about this before
17 this meeting, simply because I read option B and
18 thought, oh, this is not where we want to go for
19 all the reasons that have been discussed already.

20 I want to echo what Dr. Perry said.
21 I think that we have an opportunity here to get
22 this ball rolling. I don't know if that's an

1 option C. But, I think if went with option A or
2 some version of option A, it's going to be
3 decided by this group.

4 We always have the opportunity to
5 review, revise, grow, and change. And if it's
6 not working, if we're not getting industry
7 involvement -- and I call on the people in the
8 industry in this room and on the phone, so the
9 virtual room, to make your statements known.

10 If option B is the only one you're
11 willing to go with, we need to know that now. I
12 think we've built a lot of trust in this group.
13 And enough trust that the industry folks at this
14 table should be willing to go with option A and
15 give it a shot.

16 And I think that you guys are going to
17 be ambassadors to other pipeline organizations,
18 pipeline companies, to get them involved. And
19 say, you know, this has been a bad period.

20 This is really just a way to make our
21 industry better and possibly improve our opinion
22 amongst the members of the public, I mean, people

1 that have been watching what we're doing. And it
2 makes just our industry safer, which is why we're
3 all here.

4 I think relegating PHMSA to a minor
5 role on the executive committee is not enough for
6 the public. I think it's going to be
7 problematic. So, I do -- I support option A,
8 obviously. And then, I think that, if -- when
9 other people speak from pipeline companies, if
10 they could address their concern, whether or not
11 they'd be willing to participate in an option A,
12 because I thought that's what we were talking
13 about.

14 And I was a little frightened at the
15 option B, to be honest. So, that's my ramblings
16 at 3:39 in the morning. Thank you for bearing
17 with me.

18 HON. BURMAN: Thank you. We're not
19 going to -- we appreciate everyone's comments
20 because this is helpful. Now, we're going to go
21 to those folks in the room.

22 MS. KURILLA: Thanks, Diane. This is

1 Erin Kurilla with APGA. I just wanted to circle
2 back on something that Chairman Burman just
3 brought up earlier and make sure that -- not that
4 I can give the task groups any, you know,
5 homework or anything.

6 But, I thought the idea of really
7 walking through and being candid from kind of all
8 angles about what the core concerns are for each
9 group is, it's going to be important in order for
10 us to find a solution or, you know, option
11 infinity, if you will, that actually works for
12 all groups. And then, you know, what are the
13 non-negotiables?

14 And I think that we've heard a lot,
15 you know, from the public's stakeholders on the
16 phone about their concerns with option B. And I
17 think that industry would welcome, you know, I
18 think we can all somewhat try to read between the
19 lines as to what is non-negotiable about Option B
20 for the public.

21 But, I think it's important to really
22 articulate those concerns in a concrete manner so

1 that an Option C or whatever can be developed
2 that addresses those concerns. And likewise, you
3 know, the members of the working group that are
4 from the industry, really have to be candid about
5 why Option B was created in the first place.

6 What -- you know, we have to kind of
7 come forward and explain why Option A was not
8 quite seen as the solution that was, you know,
9 fully embraced by industry. And so, I think if
10 we can come up with, it's going to be, you know,
11 right.

12 Everything is in the name of getting
13 this done. So, no hard feelings about either
14 side of the table, right? About why each option
15 is viewed more favorably by different groups --
16 will be important.

17 And I liked the idea of the core
18 concerns. And then, how does each option either
19 address or miss the mark on what those core
20 concerns are. Thanks.

21 MR. STODY: Hello. Good morning.
22 John Stody with the Association of Oil

1 Pipelines. And we appreciated both in all of the
2 previous meetings and now, the group's
3 examination of the existing, successful models
4 like the FAA.

5 And indeed, the basic structure there
6 and we see here, is sound. Having a leadership
7 group, a day-to-day group, an issue analysis
8 group, and a data management group.

9 And plus, to have a working model, you
10 have to have things ironed out on who has
11 ultimate authority for each of these various
12 functions. And this is important to ensure
13 participation over time for the provisions and
14 protections and policies that are developed, the
15 confidentiality policies, the like, and their
16 ability to change over time or the participants
17 to have confidence in the structure.

18 For the current language, we find that
19 there's language in Option A that is unclear and,
20 in some cases, internally in conflict, and would
21 need to be ironed out to make that a working
22 model. I'll give you a couple of examples.

1 One, at a high level, is on this
2 ultimate authority issue is leadership versus
3 executive board. Traditionally, executive boards
4 have overall, leadership, strategic decision-
5 making, in different worlds.

6 And yet, in this Option A, you have
7 both a leadership and an executive board, making
8 it unclear which has ultimate authority.

9 Recommendation two in Option A gives PHMSA
10 responsibility for strategic and tactical
11 decision-making.

12 Recommendation three gives the
13 executive board oversight of VIS activities. So,
14 what would be the difference between oversight
15 and strategic and tactical decision-making? Are
16 you overseeing without the ability to make
17 decisions? On day-to-day, recommendation one
18 gives the executive board -- facilitate day-to-
19 day organization functions. And recommendation
20 two gives PHMSA responsibility for day-to-day
21 leadership.

22 So, there's two different groups with

1 day-to-day responsibilities. What's the
2 difference between the two? And then, relating
3 day-to-day to ultimate, would PHMSA both have
4 day-to-day and strategic decision-making from the
5 earlier one.

6 So then, is PHMSA really both the
7 leader and the day-to-day implementer? And then,
8 this comes into bearing, lastly, in a practical
9 sense in terms of policies. Recommendation
10 three, the executive board is responsible for
11 developing governing documents.

12 You could imagine confidentiality or
13 other types of documents. And indeed,
14 recommendation six gives, for example, the non-
15 disclosure agreements are in accordance with
16 policies established by the executive board.

17 But if recommendation two provides
18 PHMSA responsibility for strategic and tactical
19 decision-making, does that mean something that
20 the -- a policy that the executive board develops
21 could be overruled by PHMSA with ultimate,
22 strategic decision-making.

1 So, these type of internal conflicts
2 in the plain language of group, we think would
3 benefit from official, additional work to iron
4 them out.

5 HON. BURMAN: Thank you. Does anyone
6 else have any questions or comments?

7 MR. OSMAN: Good morning, Diane, and
8 the rest of the Gas Committee here in the room
9 and on the phone. This is C.J. Osman from INGAA.
10 I just wanted to add our thoughts to the
11 conversation.

12 You know, our members at this point,
13 have no firm position on really much of the EIS
14 work so far, which should make a lot of sense
15 because it's been an ongoing process. We've been
16 following it closely, very interested and excited
17 about the opportunities that it presents.

18 But, of course, until some more of the
19 details and information are flushed out, we
20 won't, you know, weigh in specifically one way or
21 the other. What I will say is that we certainly
22 have no, you know, strong objection to a PHMSA-

1 administrated option, what we're calling the
2 Option A. We certainly also see the value or at
3 least the potential value of an option that's
4 administrated by a private entity, whether it's
5 an existing group out there or a new group.

6 I think what's important, as several
7 folks on the committee and several commenters
8 have said this morning, is that the report fully
9 considers the pros and cons of different ways of
10 going about this.

11 And, I think while there's a lot of
12 advantages in having an option that administrated
13 by PHMSA, we've seen similar programs
14 administrated by PHMSA and other agencies before
15 be very successful.

16 We also know, like everything else in
17 the world, that there's drawbacks to that as
18 well. One question we have is, you know, is this
19 something that fits within PHMSA's overall,
20 strategic plan, with all of the other things that
21 PHMSA has on the table.

22 And, of course, that's a question for

1 PHMSA to discuss and answer internally, not a
2 question for us to answer, but something worth
3 considering, right? Is there challenges with a
4 PHMSA-administrated option, with soliciting
5 funding and participation from a diverse group?

6 Right now, the funding for PHMSA
7 programs comes from a specific group of sources,
8 in the form of user fees. Perhaps a different
9 entity could collect funding from a lighter group
10 or perhaps not?

11 Things to consider with the different
12 alternatives. You know, we've seen successes in
13 the past with organizations like the Common
14 Ground Alliance that are able to bring together a
15 diverse group of stakeholders to promote pipeline
16 safety and solicit both private and public input,
17 engagement in funding.

18 So again, I think the most important
19 thing to us at this stage is seeing that the
20 draft reports and the final reports consider
21 different strategies of going without and
22 achieving the objective that we all have and

1 weighing those different options.

2 And if the committee does decide to
3 make a recommendation to go with one option or
4 another option, I still think it's important that
5 the final report, to use a term from my
6 engineering classes back in college, show the
7 work of the committee.

8 Why did the committee choose one
9 option over the other and what are the pros and
10 cons of each, so that, you know, the Secretary
11 can ultimately decide what makes sense going
12 forward.

13 HON. BURMAN: Okay. Thank you very
14 much. Is anyone else in the -- Alan?

15 MR. MAYBERRY: I guess really a
16 question for Randy. This is Alan. Did the
17 committee or the subcommittee have much debate
18 over the two options or, you know, was -- do you
19 have a feel for that?

20 MR. PARKER: Yeah. There was quite a
21 bit of debate over the two options in terms of
22 really what PHMSA's role would be and how

1 important that would be to the various
2 stakeholders.

3 HON. BURMAN: We do --

4 MR. PARKER: And also, most of the
5 funding, you know? How do you fund something
6 that doesn't exist yet? I don't know. We
7 haven't really gone through possible funding
8 models. But, at least with PHMSA you know that
9 whether it's -- the best way to do it or not is a
10 question. But, you know you have the annual fees
11 that the pipelines pay that funds the programs.

12 So, you can see what that model looks
13 like. Some like it and some don't. But, with
14 Option B, we're really not sure how the funding
15 would be put together.

16 MR. MAYBERRY: Yeah. I'm not sure if
17 others have -- you know, certainly we haven't
18 heard from everyone. But, I'm hearing a sense of
19 a preference for Option A. Just, you know -- but
20 I don't want to get -- step on the toes of the
21 Chairman.

22 HON. BURMAN: No. You're not. I'll

1 let you know if you do. We do have two more
2 people on the phone. And then, I'm going to give
3 my perspective after that. Joe and then Alicia.

4 MR. SUBSITS: Thank you. I'm trying
5 to recollect what the judgment of this was. And,
6 if I remember right from previous meetings, that
7 industry in general, just in the concept of
8 PHMSA, imagined a VIS system. As a matter of
9 fact, they thought it was such a great idea, that
10 they felt it was important to have, whether it
11 was supported by the legislature or not.

12 So, if I remember right, I thought
13 that the Option B was set up in case the
14 legislature wouldn't fund the project in the long
15 run because it ended up a project whether it was
16 supported by a legislature or not.

17 I may have read -- just got it wrong,
18 but I think it might be worth our while to figure
19 out if that's the right assumption.

20 MR. PARKER: Joe, this is Randy
21 Parker. I think that was the initial thought
22 that some people had was, wait a minute. What if

1 Congress doesn't go along with the Secretary's
2 recommendations?

3 We should at least have an alternative
4 so that all this hard work doesn't just
5 disappear. So, that was one of the elements of
6 considering an Option B. But, the more the
7 subcommittee got into it, the more -- there were
8 a lot of other issues in addition to that one
9 that needed to be addressed. So --

10 MR. JENSEN: Yes. This is Leif, if I
11 could chime in, Madam Chair?

12 HON. BURMAN: Yes. And then we're
13 going to go to Alicia.

14 MR. JENSEN: Okay. Thank you. The
15 subcommittee did banter this about a bit and came
16 to the conclusion that Option A would be best to
17 recommend to the VIS as a subcommittee proposal.
18 Last meeting, we did that.

19 And we spent a considerable amount of
20 time discussing Option A. While the subcommittee
21 had matured over the course of time and become
22 comfortable with Option A, we did get a sense

1 from other VIS members and representatives from
2 the public and trade associations that not all
3 operators have evolved like those of us who sit
4 on the committee.

5 So, my recollection from the meeting
6 was, you know, not just the funding issue, if
7 indeed Option A did not make it through, but then
8 an Option B that would allow the coalition of the
9 willing, per se, to charter forward.

10 And some of this already is actually
11 occurring between ILI vendor and operators
12 through some of the programs already at least in
13 PRCI. So, there was an evolution on the
14 subcommittee's part to go with Option A.

15 We heard differently from the last VIS
16 meeting. That's why Option B is on the table.
17 When I look at the two organization graphics, one
18 on page 4 and one on page 7, side-by-side, the
19 fundamental difference in my mind is, in Option
20 B, there's an operations program office in the
21 center of the graphic.

22 And when you compare that with Option

1 A, those responsibilities would ultimately reside
2 within PHMSA. And so, part of the apprehension
3 to get to Dr. Perry and Ms. Blystone's earlier
4 question, when you look at the bi-directional
5 arrows on page 4, I mean, PHMSA, IAP and the
6 third back party data provider, you know, and to
7 echo what John Stoody said, where is the
8 structure?

9 Where is the delineation between roles
10 and responsibilities and the confidence that data
11 is going to truly be de-identified? And the way
12 the document is structured today, at least in
13 mind, it just needs some clarity.

14 So, to wrap up my banter here and get
15 off my soapbox, you know, we heard the notion of
16 well, let's try Option A for a while then convert
17 to that, to B. Well, let's try Option B for a
18 while. I don't sense that there's a lot of
19 engagement on behalf of the VIS to try that. But
20 I would be in support of a morphed Option C,
21 allowing the table that's been suggested to help
22 us veer towards that goal.

1 HON. BURMAN: Thank you. So, this is
2 Diane Burman. When I look at it -- and part of
3 my focus has been listening to what folks here
4 are saying. And one of the -- a couple of core
5 issues is confidentiality, the trust that goes
6 along with that, and the ability to also be open
7 and transparent.

8 But really, the core need to get to a
9 program that is structured right, that the core
10 objectives and goals for helping to improve
11 pipeline safety by the information sharing is
12 essential.

13 While we look at it, initially, Option
14 A and Option B seem dramatically different. When
15 you start peeling the layer, after you get -- I
16 think the thing that would stop most people cold
17 from Option B isn't the recommendations one
18 through seven.

19 It's really the first sentence that
20 says the VIS should be created as an industry-
21 funded and managed VIS. So that, I think that
22 you don't get to the other aspects and actually

1 have a lot of similarities and cross-overs that
2 are in Option A because you're focused on, at
3 least in my mind, I'm focused on that first
4 sentence, seeming to say, it's outside of, you
5 know, any regulatory structure or PHMSA.

6 So, taking that off the table and
7 looking just at the recommendations, and then
8 seeing which ones are different, then it gets --
9 that matches -- which ones match up with A?
10 Probably 85 to 95 percent match up with A.

11 So then, it just really becomes an
12 aspect of looking at how do we figure out a way
13 that works from a blending perspective that still
14 takes into account the, I think, very good points
15 that both Simona Perry and Kate Blystone raise in
16 their concerns with Option B.

17 How do we blend Option A to actually
18 get folks in support of many of the core issues?
19 Now, from my perspective, it gets really into the
20 funding aspect, which I don't necessarily see as
21 a problem from a layout, organizationally.

22 The funding is, where's the money

1 going to come and how we're going to deal with
2 that from the legislative perspective. So -- and
3 is there, just like with the FAA, is there an
4 opportunity for not only funding from PHMSA, but
5 also from industry to make this more robust.

6 Taking that outside of it, to the
7 extent that there needs to be some trust on the
8 part of folks in industry who will be voluntarily
9 participating in this, in the structure, if it's
10 housed in any way in PHMSA.

11 One, the legislation has to be very
12 tight and very clear so that it doesn't then spin
13 off into, well, this is what the legislation
14 said, but look what they did outside of that
15 legislation.

16 And to the extent that we address in
17 the legislation the confidentiality and the data
18 disclosure issues, I think are very key, so that
19 there is no, sort of, wiggle room to, you know,
20 upend all of the buy-in, after folks participate
21 in the program, in the voluntary information
22 sharing.

1 To the extent that also we look to
2 what has worked or not, depending on where folks
3 may sit, in operations in PHMSA that have been
4 successful, like some ability for advisory
5 committees to weigh in and how can we factor in
6 other aspects of that, so that it's not just sort
7 of left to PHMSA or regulators to decide what
8 fits within, I think may be helpful and allow,
9 also, that feedback, not just from industry, but
10 from many of the folks, entities who have been
11 participating in this advisory committee, so
12 that, together, we can collaborate and offer
13 support for different aspects.

14 I think it will be helpful, but it
15 would have to also be blended in. I do think
16 that we also need to keep in mind that these
17 recommendations will facilitate recommendations
18 to the DoT Secretary, who will then utilize them
19 with the public comments to determine what is the
20 next step, so that we should also keep in mind
21 that this is our blueprint to make sure that
22 we're capturing all of the different concerns and

1 weighing the options and not sort of picking in a
2 silo.

3 Well, this is what we want, so this is
4 what's going to be. But, understanding that we
5 have to kind of look at all the different
6 aspects. And now, I'll get to my comment on a
7 comment that was made in the audience by INGAA.
8 You started out saying that you -- INGAA was not
9 necessarily -- and I know I'm going to say it
10 wrong, that you weren't necessarily taking a
11 position one way or the other.

12 You were looking to what the draft
13 report would say. I think it's really important,
14 at all of our meetings, that -- the same way I
15 expect the members to be very engaged and open, I
16 would like to see, in the next meetings, much
17 more sort of openness and engagement from the
18 audience to say, this is what we would like,
19 weighing all of the different things we've heard.

20 And give us stuff, rather than just
21 waiting until after we do our draft report to
22 then have comments, whether positive or negative,

1 that then may not have helped still facilitate.

2 Because we have a short window. When
3 this goes the next steps, if we really truly want
4 something, and maybe not everyone does, but if we
5 really truly want something, it's got to be
6 really fine-tuned in the way that helps bridge
7 folks together collaboratively, to tee it up for
8 the pipeline reauthorization. Now, it may not go
9 anywhere. I would like to see that if we all put
10 our heads together, we can really collaborate in
11 a way that makes sure we do and we have something
12 at the end that gets to the next level in a way
13 that is helpful so that the disconnect between
14 the report and the public comments may be very --
15 may be less because we've had buy-in from your
16 members and others who are really trying to help
17 facilitate a robust report.

18 So, that's my comment on that. So,
19 with that, I think that I'm going to bring it
20 back to Randy. I do think that we have a couple
21 of different scenarios. We did, probably, give
22 you about 15 homework assignments. So, in

1 addition, to the 11 when you were out of the
2 room.

3 MR. PARKER: Yes.

4 HON. BURMAN: But, I think it's
5 important that we look to fine-tuning, talking
6 among subcommittees on the Option A and Option B,
7 seeing how we can dovetail some of that.

8 I'm also thinking that, between Simona
9 Perry and Kate Blystone working with others, we
10 might be able to come up with some scenarios
11 where -- at actually we're not as far apart as we
12 think. And I did -- I'm sorry. I did forget
13 that Alicia had wanted to comment. So, I
14 apologize, Alicia, I'm going to open it up to you
15 now. And then, we'll go back to Randy. Thanks.

16 MS. FARAG: Okay. Thank you. My
17 comment was really similar to INGAA's about the
18 value and looking at the Common Ground Alliance
19 and their models for data sharing, benchmarking,
20 and set practices.

21 And I think it would be a good
22 exercise for us to look at the transition that

1 the CGA went through, starting from a PHMSA-
2 funded study, all the way through to now being a
3 tangible organization administered by an
4 independent not-for-profit, funded by industry,
5 but with strong government involvement.

6 It could turn out to be a good example
7 of a hybrid model that we've been discussing.

8 Thank you.

9 HON. BURMAN: Thank you. That's very
10 helpful. Alan?

11 MR. MAYBERRY: Yeah. I can appreciate
12 that. I mean, I'm on the board of the CGA. And
13 my only comment to that is, I think that is a
14 good model. However, you know, it's the not the
15 only -- we're finding that there are other
16 splinter groups, if you will, that are, you know,
17 really trying to exert, you know, in that area
18 too.

19 So, it hasn't been so clean. It's
20 largely clean. You know, a single, you know,
21 clearinghouse for that effort, for damage
22 prevention. But, there are other groups that

1 have kind of come in.

2 So, I don't know. That -- you know,
3 you can debate about that, about, you know, it's
4 helpful or not helpful. I know, it seems to me
5 that if, you know, in that case, we need to
6 leverage resources in one clearinghouse and not
7 have these multiple groups out there. So, as
8 long as we could avoid that type of environment,
9 I think it would help.

10 HON. BURMAN: Randy, do you have any
11 other comments? If not, I think we might take a
12 five-minute break.

13 MR. PARKER: No. I think that I
14 really appreciate all the comments that people
15 have made. And we need to get to work on this
16 chart so that we can -- everybody can put their
17 eyes on it -- a chart with all the key concerns
18 and how it's addressed.

19 And we've talked before in our
20 subcommittee about we may end up with an Option
21 C, depending on input from the committee members.
22 And I think we're headed towards that blended

1 approach.

2 HON. BURMAN: Okay. With that, the
3 folks on the -- I am going to make some comments
4 after we go off the record in a second on a
5 personal issue. Okay. We're off. Okay.

6 (Whereupon, the above matter went off
7 the record at 10:06 a.m. and resumed at 10:23
8 a.m.)

9 HON. BURMAN: We're back now.

10 I'm referring to Christie to just give
11 a short recap before we move to the next
12 subcommittee.

13 DR. MURRAY: Okay. Thank you.

14 Hopefully, everybody has joined us
15 back from the break.

16 I want to thank you, Randy, for
17 summarizing the mission, objectives,
18 recommendations.

19 Some of the key takeaways that I
20 captured was that there certainly is a need for a
21 chart that describes and highlights the
22 differences between Option A and B with

1 consideration for the accompanying
2 recommendations for the Regulatory, Funding, and
3 Legal Subcommittee. Also, possibly have a chart
4 that outlines the pros and cons, and possibly
5 even implications, of each option.

6 There was also a need to clarify
7 whether or not in Option A, Recommendation 2, the
8 federal leadership will be making the decisions
9 or, Recommendation 3, the Executive Board will be
10 making the decisions, and to clarify the day-to-
11 day leadership decisions and those that are more
12 strategic and tactical.

13 There were also clarifications needed
14 to address funding implications to the different
15 options. There was considerable dialog that
16 probably would warrant fleshing out in terms of a
17 possibly hybrid sort of an option that addresses
18 concerns by many from both the previous options
19 that were discussed and to come back with some
20 additional considerations.

21 And, let's see, overall, it doesn't
22 sound like that any of the recommendations

1 brought forward for the mission and objectives
2 are ready for a Committee vote. Randy, correct
3 me if I am wrong.

4 MR. PARKER: No, I think you are
5 right, absolutely.

6 DR. MURRAY: Okay. Thank you very
7 much.

8 HON. BURMAN: Thank you.

9 Now we're going to move to Regulatory,
10 Funding, and Legal.

11 MR. PARKER: Okay, I'm back on.

12 So, if you turn to page 35, that's
13 where the Regulatory, Legal, and Funding
14 recommendations begin.

15 What we did in this Subcommittee is we
16 revised and in some cases rewrote our
17 recommendations to go in parallel with each of
18 Option A and B and the Government's
19 recommendations.

20 So, to summarize, Option A recommends
21 that the Secretary seek congressional action for
22 every one of these recommendations, all six. So

1 it would be six provisions or pieces of
2 legislation that would start with, requesting
3 during the reauthorization process next year,
4 that those would be given direct authority to go
5 forward with the VIS, as envisioned in the six
6 recommendations.

7 We discussed the connection to real
8 measurable results between the intent of Congress
9 and enhancement of SMS as part of PHMSA's current
10 programs. And we discussed that we're not trying
11 to change any existing pipeline safety programs
12 at PHMSA, but that we're trying to build
13 complementary authority for this particular
14 separate program.

15 So, Recommendation 1 really deals with
16 setting up and giving the overall goals that
17 we've talked about a few times about
18 confidentiality and the need for trust and
19 participation, widespread participation.

20 Recommendation 2 deals with protection
21 of information from being disclosed, again, tying
22 back to increasing industry participation and

1 voluntarily submitting information for the
2 benefit of everyone.

3 Recommendation No. 3 is an exception
4 from FOIA release, which is almost word-for-word
5 what FAA has.

6 Recommendation 4 deals with
7 prohibiting enforcement actions arising out of
8 the data that was submitted voluntarily under
9 confidentiality, but not limiting PHMSA or any
10 other party from engaging in an enforcement
11 action on facts that were developed and
12 established independent of the VIS process.

13 And then, we made four exceptions to
14 that general principle. And those exceptions are
15 where no enforcement actions would be allowed.
16 That is where, on page 38, you can see the four
17 that we carved out.

18 One is where we have ILI or non-
19 destructive evaluation and testing information
20 and date confirmation information that would be
21 shared. Some if already shared, but if it's
22 shared in a wider way, and during that process an

1 operator discovers something that needs to be
2 corrected, only that operator may not share that
3 with anyone, especially PHMSA. But if something
4 is discovered and the operator immediately
5 commences a break to that action program in
6 writing and follows through on that program,
7 then, if PHMSA or some other federal or state
8 agency discovers that through inspections or for
9 another reason, then they would not initiate
10 enforcement.

11 Another area is near-misses. In other
12 words, we've talked about this before. Probably
13 we would get the most return and the fastest in
14 this area if we were able to have a program where
15 companies voluntarily started talking about their
16 near-misses. But they're not going to do that
17 with fear that they're going to be subject to
18 enforcement by federal or state agencies. So,
19 you would carve that out, so that the facts that
20 are related to near-misses that are reported to
21 the VIS would be exempt from enforcement.

22 And then, non-reportable releases are

1 often very revealing of information that could be
2 helpful from a pipeline safety perspective. So,
3 we would encourage industry to report those
4 things to the VIS without fear of enforcement
5 actions or some fact related to that release.

6 And then, unusual events or conditions
7 is really kind of a catch-all. Again, we're
8 trying to change the culture of the industry to
9 encourage reporting of things that, as we heard
10 in the aviation industry, seem like maybe they're
11 a one-off, strange event. But, if other
12 operators know about it, it may be that it's
13 something that we can spot a trend and, again,
14 improve pipeline safety.

15 So, those are the areas that we
16 decided we could safely carve out enforcement
17 actions, so that everyone gets the benefit of the
18 information, so long as the operator does the
19 right thing and establishes and carries out a
20 corrective action program.

21 We also put in a no-retaliation
22 provision, so that operators are prohibited from

1 taking any retaliatory action against their
2 employees or contractors who report violations or
3 any other facts that could be helpful to pipeline
4 safety.

5 Recommendation No. 5 deals with
6 protecting this information that goes into the
7 VIS from discovery and admissibility into
8 evidence.

9 No. 6 talks about Congress authorizing
10 the funding, beginning in 2019. But, if the
11 Congress does not do that, at least the Secretary
12 should consider using discretionary funds within
13 the operation, program, project, and activity
14 sufficient to stand up early stages of the VIS
15 and get it moving.

16 So, we can talk about any of those,
17 but I have to say that, if you go to Option B,
18 starting on page 39, there's only one request for
19 congressional action for Option B, and that's the
20 exemption from FOIA discovery of VIS information.
21 We thought that could be warranted because it's
22 tied in with PHMSA's administration of safety

1 programs, and VIS participants should not worry
2 about parties going through the FOIA process to
3 try to get into the VIS system.

4 We did not include recommendations for
5 congressional action on the other areas. And the
6 reason we did that is that we felt that there
7 wasn't a sufficient, under Option B, there is not
8 a sufficient involvement of PHMSA to make a good
9 case to Congress that they should give these
10 protections to the industry as a furtherance of
11 PHMSA's goal of improving pipeline safety because
12 it wouldn't really apply to PHMSA authority and
13 interstate commerce authority. It would just be
14 trying to establish an incentive for private
15 industry. And none of us thought that that would
16 be a practical approach to the legislation.

17 Instead, in Recommendations 2, 3, 4,
18 and 5, we talk about protections that are created
19 between the participants and the VIS, memorandums
20 of understanding, non-disclosure agreements, et
21 cetera, and that PHMSA would collaborate and
22 assist, or maybe sign of those, similar to what

1 has been done in the Federal Railroad
2 Administration area and the FAA, where there are
3 a lot of agreements to protect confidentiality.

4 We also noted that the funding would
5 need to be provided by industry in some way that
6 is sustainable, at least at the minimum levels
7 that would be contemplated in Option A where
8 PHMSA would fund it.

9 So, that's what we have. Now,
10 clearly, we would need to get all these
11 recommendations into this chart and look at
12 potential hybrid scene where we might be able to
13 seek a lot of these congressional protections to
14 the extent that we could.

15 And it's important to remember that,
16 if we create self-executing, statutory
17 protections, there would be a lot more interest,
18 I think, in operators participating in the
19 program.

20 HON. BURMAN: Thank you.

21 This is Diane Burman.

22 I do think we have some folks who want

1 to comment.

2 Joe, on the phone?

3 MR. SUBSITS: Yes. Thank you.

4 My challenge is Recommendation 4, Item
5 A. We talk about no enforcement action is taken,
6 provided operator prepares written corrective
7 action program within 30 days. So, that is
8 similar to what the state regulatory would be
9 doing if they found a violation. I don't really
10 see that as a big deal, although it's hard to
11 speak up for about 50 other regulatory entities.

12 But I guess my main comment is there
13 are situations where action may be required. And
14 some of these are defined in some CFR sections.
15 So, I think there needs to be something in there
16 talking about stuff, immediate correction
17 possibly, for those situations, emergency
18 situations.

19 MR. PARKER: Yes, that's a good idea,
20 Joe.

21 MR. SUBSITS: Thank you.

22 HON. BURMAN: Anyone else on the

1 phone?

2 (No response.)

3 In the room?

4 (No response.)

5 So, I think just to echo what you
6 said, Randy, about looking here like in the first
7 Subcommittee Option A and Option B, and mirroring
8 a chart that would show what the similarities are
9 and what some of the differences are will be
10 helpful.

11 I do also want to point out, on Option
12 A, Recommendation 1D, where it says, "The VIS is
13 intended to develop its own governance structure
14 and to create as many VIS programs as it deems
15 necessary to address various areas of pipeline
16 safety," I know that's also in Option B. The
17 only sort of concern for me is looking at it,
18 especially as we go forward in terms of exactly
19 what that would mean, it's a very generic thing,
20 and just wanting to make sure that we're very
21 careful in keeping VIS to the objectives, rather
22 than sort of becoming the kitchen sink for

1 everything. Whether it fits in A or B, depending
2 on where you sit, folks may have concerns. For
3 me, it's just about being a little bit more clear
4 about tying it to the direct linkage to whenever
5 the enabling legislation would be, so that it's
6 not an opening for everything to fall within
7 that.

8 And then, the other thing is, when we
9 talk about the MOUs -- and I think this is just
10 in Option B -- an MOU being encouraging it
11 between PHMSA and VIS, again, the MOU, to the
12 extent that it is consistent and in alignment
13 with whatever the enabling legislation may do,
14 but also to ensure that the MOU doesn't also
15 holding it tied, if folks agree to maybe some
16 things that maybe some folks may see as outside
17 of the bounds of what PHMSA should be asking for.
18 So, I'm just wanting to make sure that we clearly
19 define what the MOU might encapsulate.

20 MR. PARKER: Great comments.

21 HON. BURMAN: And that doesn't mean,
22 again, with this report -- this report is really

1 looking at higher-level and to the extent we need
2 to drill down, but not sort of getting in the
3 weeds where we're marking up the draft MOUs, et
4 cetera, but really enabling folks to get a flavor
5 for what is necessary and, also, the key
6 takeaways. So that, when we submit the report to
7 the DOT Secretary and it's open for more formal
8 public comments, people have an ability to
9 understand the rationale behind the
10 recommendations and give comments towards that.

11 Alan?

12 MR. MAYBERRY: Actually, I had a quick
13 question.

14 Hey, Randy, appreciate this.

15 I'm just curious. I think Dan Cote,
16 who is not here, was on the Subcommittee.

17 But I guess you guys were comfortable
18 that, under A, the ILI, NDE, NDT, and dig
19 confirmation covered the array of information
20 that would be shared in this system? Was that
21 broad enough, do you guys think?

22 MR. PARKER: Well, it's really not

1 broad enough for everything that would be shared.
2 But the thought of the Subcommittee is -- yes,
3 Dan is on that Subcommittee as well -- that we
4 wanted to specifically call out what the mandate
5 mentioned, which was the ILI information, and
6 everyone thought that that was a pretty good
7 example of what we, as a Committee, should be
8 looking at. So, it made sense to talk about that
9 specifically and say that, in the event that all
10 these things are being shared and something is
11 discovered or revealed, that none of those
12 parties will have to worry about enforcement
13 action. But it's not limited to that.

14 MR. MAYBERRY: Okay. I know, I guess
15 two meetings ago, I had talked about this one a
16 bit. I think this one covers my concern
17 related --

18 MR. PARKER: We wanted to cover your
19 concern for sure about not changing existing
20 enforcement programs --

21 MR. MAYBERRY: Right.

22 MR. PARKER: -- but give some

1 exceptions where there's a good fit in terms of
2 providing information through the VIS, and it
3 happens to reveal other stuff, but the operator
4 would have a good-faith duty to immediately deal
5 with it, you know.

6 MR. MAYBERRY: Right. Okay. Thanks.

7 HON. BURMAN: Any other comments?

8 (No response.)

9 In the audience?

10 (No response.)

11 No? Okay.

12 One thing on Option A and Option B,
13 Option A I think is Recommendation 6 on adequate
14 and sustainable funding, and Option B is
15 Recommendation 5. To the extent when we looked
16 at this as well, and it aligns with potentially
17 some changes in the mission and the objectives
18 aspect, that the underpinnings of the funding --
19 it may somehow get funded, whether it's initial
20 monies, whether Congress also would allow for
21 some joint funding partnerships, or whether there
22 is an ability to clearly define that industry

1 shall be allowed to establish some funding
2 mechanisms for this. So, it's something that we
3 may need to look at that as well.

4 MR. PARKER: Yes, I think we should
5 look at that. That's a great idea. Because if
6 we end up with blended funding, it should be
7 clear that that's what Congress wants to happen.

8 MR. PARKER: Alan, do you have any --

9 MR. MAYBERRY: Oh, no. No comments.

10 HON. BURMAN: All right. Anyone else?

11 MS. PATNI: Sonal Patni with AGA.

12 HON. BURMAN: Could you use a
13 microphone?

14 MS. PATNI: Sonal Patni with AGA.

15 I just wanted to comment on the
16 funding piece of it. AGA is supportive of not
17 only having it funded through PHMSA and industry,
18 but since the data is being utilized by the
19 industry as well as vendors to further
20 information-sharing, we would be open to having
21 vendors and other parties also contribute towards
22 the funding.

1 HON. BURMAN: Thank you. That's
2 helpful.

3 Does anyone else on the phone have any
4 comments?

5 (No response.)

6 Oh, that was the AGA representative
7 discussing that they are open to aspects of other
8 funding, including from third-party providers, et
9 cetera. So, it's not being locked into one
10 specific sort of siloed funding stream, but
11 looking at it as a whole, at the more flexible we
12 can be while we work through that. Obviously,
13 critical to any VIS system, no matter how well-
14 structured and organized it is, without the
15 appropriate funding, it can't do much. So, I
16 think that's a poor underpinning in everyone
17 understanding what that funding needs for a
18 robust program to work and initial startup, et
19 cetera.

20 MR. PARKER: Thanks for that, Diane,
21 because I couldn't hear. That's a very good
22 point. I think the funding is essential, that it

1 be sustainable and we can see how it would work.
2 Because, if not, then all of our work could just
3 disappear.

4 HON. BURMAN: Okay. Any other
5 comments?

6 (No response.)

7 I don't think we need to vote on
8 anything right now because it's a lot of food for
9 thought.

10 I do just want to remind folks that,
11 between now and this meeting, members, you have
12 these documents, too. To the extent that you
13 look through them and offer up your continued
14 thoughts to the Subcommittee Chairs, you can feel
15 very comfortable doing so. We're not going to
16 have deliberative discussions in between the
17 meeting. But, to the extent that, substantively,
18 you mark up those reports or offer your thoughts
19 to the different Subcommittee Chairs, that will
20 be very helpful.

21 And also, in this one, in particular,
22 with the focus on the different things, I know

1 some things fell off of Option B versus Option A.
2 And when I look at it and some of the things that
3 are in Option A, I don't see why they wouldn't
4 also continue in Option B. It just may be more
5 nuanced. But, like the one with the litigation
6 recommendation, that's something that I believe
7 was brought forward to us by one of the FAA
8 representatives, and how helpful that was. And
9 so, to the extent we also flesh out in the report
10 why the rationale for that recommendation is key,
11 I think it is important.

12 With that, does anyone else have
13 anything else?

14 (No response.)

15 All right. Thank you.

16 Randy, good job on both of those
17 Subcommittee report-outs.

18 Now we're going to the Process Sharing
19 report-out.

20 MR. HERETH: I'm Mark Hereth from the
21 Blacksmith Group, and I'm the Chairman of that
22 Subcommittee.

1 The Process Sharing Subcommittee
2 shared a series of recommendations last month.
3 There was a lot of great feedback provided, both
4 at the Committee level and within our
5 Subcommittee.

6 We've restructured these to some
7 degree, based on that input and feedback. And I
8 just want to start by saying that the
9 recommendations really fit into five categories,
10 the first of which is that there's a
11 recommendation to create a community of practice
12 which really represents all the stakeholders that
13 we've been discussing for some period of time,
14 which is the regulatory bodies, both PHMSA and
15 the state representatives through NAPS, the
16 public members, operators, service providers,
17 research organizations, organized labor, and,
18 again, public representatives.

19 There's a second group of
20 recommendations that refers to this community of
21 practice. The second set of recommendations is
22 really focused on recognizing and building upon

1 what we already have going with respect to
2 lessons learned. And that really is
3 Recommendations 4, 7, and 10.

4 The third is really the concept that
5 we've talked about of creating a center where the
6 information is managed, which we're referring to
7 as the VIS hub. And that comes up in
8 Recommendation No. 3.

9 There's, then, a set of
10 recommendations in 5, 8, and 9 that set forth how
11 a process would work for sharing information with
12 respect to one being operators; two being
13 assessment, integrity, service providers, and
14 then, three being non-destructive evaluation
15 companies.

16 And we point out all three because, if
17 you recall the diagram that we shared in the last
18 couple of meetings -- I know that we focused on
19 it at the last meeting -- the interaction that's
20 called forth in the API Recommended Practice 1163
21 focuses on the operator and the ILI service
22 provider. These recommendations get at building

1 upon that and taking that to another level, where
2 it's the operator with integrity assessment
3 service providers, broader than ILI, and, also,
4 incorporate or including non-destructive
5 evaluation companies.

6 So, that fourth group is really
7 looking at a common approach for the respective
8 groups of operators, service providers, and NDE
9 companies. And then, there is a fifth category,
10 which is really building upon feedback, not only
11 that we've had here, but I think that some of the
12 trade associations have heard from meeting with
13 the Administrator and others. It is that we have
14 the opportunity here to draw upon improvements in
15 technology and create a compendium on some
16 periodic basis that provides an update on the
17 state of technology and the improvements that
18 have been recognized in technology.

19 If you like, I can walk through each
20 of those, but I wanted to start at a very high
21 level first. And maybe I'll ask if there's
22 questions based on that.

1 HON. BURMAN: Does anyone have any
2 questions before we go walking through? On the
3 phone?

4 (No response.)

5 No one?

6 Okay. In the audience?

7 (No response.)

8 No? Okay. Thank you.

9 MR. HERETH: And I'll just add -- and
10 I'll look at my Designated Facility Officer over
11 there, as we work together through this -- that
12 we'll have a preamble of sort in our section that
13 will address those five categories at a high
14 level to set sort of the context for what we're
15 trying to get to.

16 So, again, the first recommendation
17 really relates to establishing a community of
18 practice. It's a term of art that we elected to
19 use several meetings ago. As you will recall,
20 there's a diagram that really shows or depicts
21 how that group of stakeholders all interacts and
22 interrelates. Probably the most important point

1 is that there's a key part of this which is the
2 interaction, the interrelationship between all of
3 those parties, which is really a core part of
4 this.

5 And, Madam Chairman, I'll just
6 continue to go through, if that makes sense.

7 HON. BURMAN: Yes, and folks should
8 feel comfortable raise their tent card --

9 MR. HERETH: Yes.

10 HON. BURMAN: -- or letting us know on
11 the phone after each, if you have any comment,
12 and in the audience.

13 MR. HERETH: Okay. Thank you.

14 MR. PARKER: This is Randy Parker. I
15 wanted to ask Mark a quick question.

16 MR. HERETH: Go right ahead.

17 MR. PARKER: Mark, do you plan on
18 putting that chart, which I thought was really
19 good, in the report?

20 MR. HERETH: Yes.

21 MR. PARKER: Okay.

22 MR. HERETH: We'll use the chart and

1 we'll also use the chart that includes the VIS
2 hub that builds upon and incorporates the use of
3 the community of practice.

4 MR. PARKER: Yes. Yes, that's what I
5 was talking about.

6 MR. HERETH: Yes.

7 MR. PARKER: That will be great.

8 MR. HERETH: Yes.

9 MR. PARKER: Okay.

10 MR. HERETH: Absolutely. And if
11 people have ideas on how to improve that chart
12 from a visual standpoint, we're certainly open to
13 that.

14 Thank you for that question.

15 The second recommendation is really to
16 define the types and what information --

17 HON. BURMAN: Hold on one moment.

18 MR. HERETH: Oh, I'm sorry.

19 HON. BURMAN: We have one more
20 question.

21 MR. HERETH: Sorry. Sorry. Go ahead.

22 DR. MURRAY: This is Christie Murray.

1 It's just a clarifying question.

2 But that first recommendation, the
3 focus of the community of practice is related to
4 integrity assessment and risk management only?

5 Is it --

6 MR. HERETH: It's meant to cover the
7 broad discussion that we had in the last meeting.
8 Also, that provides all of improving pipeline
9 safety performance. If there's thoughts on how
10 to better state that, we're certainly open to
11 that. But our intent was to meet the terms of
12 the discussion that we had in that last meeting.

13 DR. MURRAY: Okay.

14 MR. HERETH: Yes.

15 DR. MURRAY: And I'm just thinking
16 about it, just a consideration for the
17 overarching, bold, actionable recommendation,
18 that it's not clear; that it could be broader
19 than that.

20 MR. HERETH: Yes, yes.

21 DR. MURRAY: That's my only point.

22 MR. HERETH: Okay. That's fair. And

1 I would certainly welcome yours or others' input
2 on how to better state that. It may be that we
3 really ought to derive language or use language
4 from the charter and the mission statement, since
5 we've embraced that previously. That's a great
6 point. Thank you.

7 Any other comments or questions?

8 (No response.)

9 Okay. I'm going to go to No. 2.

10 Again, this is defining the types and what
11 information is to be shared. We've talked about
12 the types in previous meetings. I'm not going to
13 go into those today.

14 I will point out that there are some
15 pretty extensive details on what the information
16 is that we're trying to think to consider sharing
17 that's really best captured within the work
18 that's been done in the Best Practices Group.

19 There is also some work that was done
20 within the Technology and Research and
21 Development Subcommittee as well. And so, I
22 think as a takeaway, before we come into

1 November, that Eric, as the Chair of the Best
2 Practices, and Bryce, as the Chair of Technology,
3 and myself, we'll get together and try to center
4 around a common set of data there or information.

5 I would caution us, building upon what
6 the Chairman said a few minutes ago, that we
7 shouldn't get caught up in too much detail and
8 get too much into the weeds. These would be
9 simply provided as a means to give people a sense
10 of the kind of information we would be sharing.
11 Is that a fair way to put it?

12 HON. BURMAN: Yes, and the way is
13 important.

14 MR. HERETH: Yes, yes. Thank you.

15 And to recognize a compatriot of mine
16 from 1173, Mr. Tahamtani, that the reason we talk
17 about why is because "why" is essential in
18 building a strong safety culture. So, thank you.

19 Any questions or comments on that one?

20 (No response.)

21 The third recommendation is really
22 centered around the idea of building the hub.

1 And again, we've shown that visually; we've
2 described it in words, but it really is to have a
3 plan, a design, as we refer to it in here, to
4 really create that hub.

5 And this is a case where we're trying
6 to, then, make the connection to other
7 recommendations. So, it's really done using data
8 defined in the Best Practices Subcommittee
9 largely, and then, under governance, defined in
10 all the provisions that we just discussed earlier
11 this morning. So, it's simply to make the tie
12 there.

13 Questions or comments on that one?

14 HON. BURMAN: Any questions on the
15 phone?

16 (No response.)

17 In the audience?

18 (No response.)

19 No, you're good.

20 MR. HERETH: Thank you.

21 HON. BURMAN: Thank you.

22 MR. HERETH: The fourth recommendation

1 is to really build upon or to use API RP 1163 as
2 a starting point, as we've discussed in prior
3 meetings, and we had presentations on API RP
4 1163. It is in use today. Its use can be
5 broadened and strengthened. And so, we think
6 that a way to go at that is for operators to
7 actually adopt and formalize that use through all
8 the work that they do with respect to at least
9 ILI, which is what the standard is written for.
10 And then, to work to find ways to improve and
11 build upon that practice.

12 So, that was an Item A there. There's
13 an Item B that we've moved into this
14 recommendation. It actually used to sit as its
15 own recommendation.

16 And this is, again, going back to one
17 of our favorite documents, API RP 1173. This is
18 to have operators adopt and incorporate an annual
19 or a periodic -- excuse me -- a periodic audit
20 for the conformance of the use of API RP 1163 as
21 a part of their implementation of a pipeline
22 safety management system. And then, as a part of

1 that, to integrate lessons learned from that
2 process into the management review process and
3 into overall continuous improvement of the use of
4 1163.

5 HON. BURMAN: Anyone have any comments
6 on this?

7 MR. JENSEN: Yes. Mark, this is Leif,
8 if I may.

9 As it pertains to auditing and the
10 evaluation, in 1173, the maturity model, it talks
11 about third-party or in-house auditing. Has the
12 Committee had any perspectives on Recommendation
13 4, Part B, whether this should be an internal
14 self-audit?

15 MR. HERETH: No, we haven't, and we're
16 certainly open to that discussion. But my
17 recommendation would be that we leave that to
18 individual operators to be decided in the way
19 that they implement that program under safety
20 assurance within their pipeline safety management
21 system.

22 And as you point out, the recommended

1 practice provides for different alternatives,
2 both internal audit, external audit, and uses the
3 term, actually, or provides for an assessment,
4 which is a little bit different view of an audit.
5 But operators should really have the opportunity
6 to provide all of those, as is envisioned in
7 1173. But we're certainly open to input there.

8 MR. JENSEN: Okay. And the only
9 followup to that is, you know, reflecting on the
10 governance discussion we had earlier this
11 morning, as we think about workflow, A to Z, when
12 the ILI vendors and operators submit data,
13 identify, analyze, process, metrics produced,
14 lessons learned, and shared amongst all people,
15 there may be an opportunity for an auditing
16 function at that level from the whole workflow
17 perspective as well.

18 MR. HERETH: That's a great point. In
19 fact, if PHMSA was administering this, I would
20 expect that to be a part of their implementation
21 of their pipeline safety management system. And
22 I'm sure Alan would embrace that, right?

1 No, not to make light of that, but it
2 really would be consistent with applying the
3 spirit of applying 1173. But that's a great
4 point and we should capture that.

5 Thank you.

6 HON. BURMAN: Are you going to, in
7 this draft, also include sort of a summary
8 analysis of API RP --

9 MR. HERETH: Yes.

10 HON. BURMAN: Okay.

11 MR. HERETH: Yes. In fact, the intent
12 is that we'll draw on the presentation that Drew
13 Hevle made.

14 HON. BURMAN: Okay.

15 MR. HERETH: In fact, it's a really
16 good question because, not only with Drew's
17 presentation, Drew Hevle's presentation on 1163,
18 but the one that we had from Warren Randolph on
19 ASIAs from the FAA, they both talk about
20 essential elements or essential components of
21 what their systems were about, or the systems
22 they were describing. And we want to bring those

1 forward. It gets to your point about core
2 elements or core principles that we want to make
3 sure we're conveying to people.

4 HON. BURMAN: Okay.

5 MR. HERETH: That's a really good
6 question.

7 HON. BURMAN: That will be helpful.

8 MR. HERETH: Again, I'm going to look
9 to Dr. Borener to make sure that we help on that.

10 HON. BURMAN: All right. Thank.

11 MR. HERETH: Thanks. That's a great
12 point.

13 HON. BURMAN: One more question.

14 DR. MURRAY: And this is just, with
15 the inclusion of the distribution systems into
16 the framework from the Strategic Mission
17 Statement, how is that impacted or depicted in
18 the recommendations, particularly for A and B?

19 MR. HERETH: Well, that's a great
20 question. So, A and B really relate to starting
21 with 1163 as it exists today. And then, when we
22 go to Recommendations 5, 8, and 9, we're going to

1 build upon the processes that are set up in 1163
2 and broaden that to other assessment
3 technologies, other things that are done in
4 managing pipeline safety.

5 So, what we wanted to do was to point
6 out that, one, we had something that we already
7 had to build upon that's been used successfully,
8 but its use can be improved and it could be
9 broadened. So, it serves as sort of a foundation
10 piece. And then, the recommendations that
11 followed -- so, you're my straight person for
12 really jumping into No. 5 -- which is to take
13 what we do processwise with API RP 1163 and
14 broaden that to other assessment technology.

15 And then, 5 is really written towards
16 operators, but I'll stop there and see if there's
17 any other questions.

18 HON. BURMAN: Any questions?

19 DR. BORENER: Yes. This is Sherry
20 Borener from PHMSA.

21 My question, Mark, is, is the thought
22 in ISIAS the data in ISIAS can be used to do some

1 of the benchmarking and --

2 HON. BURMAN: Is your mic on?

3 DR. BORENER: I don't know.

4 HON. BURMAN: For the people on the
5 phone, they won't be able to hear you.

6 DR. BORENER: Okay. I think so.

7 So, in ISIAS, data collected for
8 benchmarking can be used in the audit process,
9 right? Is that the thought? It says, "auditing
10 periodically in conformance with their
11 implementation". So, I'm wondering if you're
12 thinking that the data in the VIS supports the
13 audit process by providing some of that
14 information, as the ISIAS configuration is, where
15 benchmarking against that industrywide
16 performance can be done.

17 MR. HERETH: I would say that's not
18 something we've given consideration of here, but
19 I know that in the Technology Subcommittee, and
20 particularly with a subgroup within that, that
21 Michael Bellamy has a group that's addressing
22 that --

1 DR. BORENER: Okay.

2 MR. HERETH: -- that's addressing that
3 concept of continuous improvement.

4 So, I would ask that we hold that
5 question until we have that discussion today.
6 And then, if we haven't addressed it, then we
7 should figure out, between Michael's work and the
8 work of this Subcommittee, how to address that.

9 DR. BORENER: Okay.

10 MR. HERETH: It's a good point. We
11 haven't explicitly at this point, though. Yes.

12 DR. BORENER: Thank you.

13 HON. BURMAN: Anyone on the phone have
14 any comments?

15 (No response.)

16 In the audience?

17 (No response.)

18 Okay. You can continue.

19 Oh, Christie?

20 DR. MURRAY: And just to piggyback off
21 of my previous comment with 4B, in particular,
22 how might that be applicable to 5 as well, in

1 terms of how 1173 may play a role?

2 MR. HERETH: So, I think it can be,
3 and we should probably explicitly provide for
4 that. So, I would say, certainly in 5, which is
5 directed at pipeline operators -- so, just to
6 briefly describe 5, it's really taking and
7 building upon what's done in Recommendation 4,
8 centered around 1163 for ILI, and broadening it
9 to other assessment technologies, such as direct
10 assessment, hydrostatic testing, and then,
11 alternate technologies that are allowed for or
12 allowed by in the PHMSA regulations.

13 And then, we give some examples of
14 what that process could include. I'd say, Dr.
15 Murray, that we could certainly apply that same B
16 under No. 5 to the extent that service providers
17 were applying a pipeline safety management
18 system. And even including NDE service providers
19 were applying a safety management system, they
20 could apply that same Recommendation B.

21 I think in the short term it's more
22 likely that, with service providers, so

1 assessment service providers and NDE service
2 providers, it's more likely that they're going to
3 be using a quality assurance/quality control plan
4 that they could take and, then, evolve towards an
5 SMS. But, within that QA/QC program, they could
6 be, essentially, applying the same principles as
7 in B.

8 It's a great point and we'll make sure
9 we make note of that.

10 HON. BURMAN: Erin?

11 MS. KURILLA: Thanks.

12 This is Erin Kurilla with the American
13 Public Gas Association.

14 I'm kind of going on the fly with this
15 comment, Mark. So, I apologize in advance if
16 it's a little scatterbrained.

17 But when I look at 4A and B, it seems
18 to me -- I understand what you're trying to do,
19 which is get people organized before they begin
20 submitting information to the VIS. And what A
21 and B, at least in my mind, is supposed to do is
22 get everybody on the same page as far as how this

1 data will be submitted eventually to the VIS, and
2 then, what's expected of that data. I mean,
3 that's where I see the continuous improvement in
4 B coming from.

5 I'm a little bit, however -- and I
6 think you'll understand where I'm coming from --
7 uncomfortable with recommendations within this
8 that are directed specifically towards operators.
9 Is there a way to reframe this so that it's more
10 -- maybe perhaps it's just participants in the
11 VIS? Maybe you just bring it to that level
12 versus all operators.

13 MR. HERETH: So, I don't know that we
14 explicitly addressed this towards all operators.
15 I think this is addressed towards operators who
16 would participate in the VIS.

17 MS. KURILLA: I think you and I know
18 that. I just mean, when this gets
19 memorialized --

20 MR. HERETH: Yes.

21 MS. KURILLA: -- I don't want people,
22 if you were to pull this out and say, "Oh, all

1 operators' use of API RP 1163 should be evaluated
2 and audited with 1173."

3 MR. HERETH: Right. Right, right.

4 MS. KURILLA: I think that there's
5 a --

6 MR. HERETH: It's a fair point. It's
7 why you don't see the word "all" used here.

8 MS. KURILLA: I know. I added it.

9 MR. HERETH: I'll never use it.

10 (Laughter.)

11 MS. KURILLA: But you know where I'm
12 headed.

13 MR. HERETH: Yes. No, I know.

14 MS. KURILLA: I just think some
15 nuances to that language is probably --

16 MR. HERETH: That's a fair point.
17 Thank you.

18 HON. BURMAN: We can make sure that,
19 when we go get it, that it's participating
20 operators.

21 MR. HERETH: Yes, yes.

22 MS. KURILLA: Or something.

1 MR. HERETH: Yes. Thank you.

2 I think that, Erin, another key point
3 is that, in tying A and B under Recommendation 4,
4 it's not that we envisioned that B would be done
5 right at the outset when A would be being
6 strengthened. It's to bring the two together,
7 recognizing that they're an operator function for
8 the most part when it comes to safety management
9 systems.

10 So, I would say, from a practical
11 standpoint, B would be something that an operator
12 would look at down the road, remembering that a
13 safety management system is a journey; it's not a
14 project. That something, B would be something
15 most likely that would be done two to three or
16 more years down the road. And that's probably a
17 point we should make. Although others may
18 differ, that's our thinking.

19 HON. BURMAN: That's helpful.

20 The one thing I do want to just note
21 really for our Reporting Subcommittee is that,
22 Erin, in your dialog on making sure it's specific

1 to the participants, I think that goes without
2 saying for the entire report. So, rather than
3 just us focusing here on just being operators, we
4 should have some section that is somewhat
5 boilerplate, but makes the point that all of this
6 is intended to be applying to those in the VIS,
7 and to the extent that we also look at the report
8 language, when we go through it anywhere, that we
9 need to make that clearer. I think we should do
10 that throughout the whole report when we have to
11 draft.

12 MR. HERETH: Yes. Thank you.

13 MR. MAYBERRY: I have one question.

14 I know we're not wordsmithing here,
15 but would you also include other management
16 systems? Because we may have some operators who
17 are using others, and we've been promoting -- as
18 we promote SMS, we're saying, look, others may be
19 using SEMS. But just a minor point.

20 MR. HERETH: No, that's a great point,
21 and I think that's why we actually used the term
22 "implementation or requirements of".

1 MR. MAYBERRY: Yes.

2 MR. HERETH: And if you recall the
3 figure in 1173, there's a footnote under it which
4 has the 10 elements. It actually explicitly
5 recognizes the use of other management systems
6 such as PAS 55 or other asset management systems
7 that people may already have in place, and to
8 make that connection in 1173.

9 MR. MAYBERRY: Okay.

10 MR. HERETH: But fair point. Thank
11 you.

12 MR. MAYBERRY: Yes.

13 MR. HERETH: We need to make sure
14 that's clear, yes. Thank you.

15 HON. BURMAN: Thank you.

16 I think we're good to continue.

17 MR. HERETH: Should we ask, anybody on
18 the phone?

19 HON. BURMAN: Anyone on the phone?

20 (No response.)

21 Okay. Thanks, Mark.

22 MR. HERETH: Okay. Thank you.

1 No. 6 really focuses on defining
2 processes within the VIS hub for sharing discrete
3 integrity assessment data. So, the difference
4 here is that, in Recommendation No. 4, it really
5 focused on the use of 1163, which is that
6 interaction between the service provider, the ILI
7 service provider, and the operator. What 6 is
8 really looking at is what was envisioned by some
9 of the parties that contributed to the
10 development of the legislation, which is really
11 that we have a mechanism to share not just high-
12 level learnings, but the actual discrete data
13 from ILI runs and from the excavations that are
14 done associated with ILI runs, and the NDE work
15 that's done in the excavations.

16 And so, the idea here is this is
17 really that focus on the discrete data. We broke
18 this one out separately because we think, from a
19 timing standpoint, it's easier to achieve success
20 on some of these other recommendations. This is
21 one it's going to take some time to implement.

22 HON. BURMAN: Alan, do you have a

1 question?

2 MR. MAYBERRY: No, I don't.

3 HON. BURMAN: Paul?

4 MR. ROBERTI: So, just looking at
5 this, I guess my question is, this comes under a
6 section of sharing recommendations. Yet, A and B
7 under PS-4 seem to direct actions by operators.
8 And I guess I thought the whole thrust of the
9 initiative was about sharing information, and not
10 so much trying to encourage or regulate actions
11 of operators. So, I ask that at a very high.
12 And I may have missed something. I try to get
13 down here as much as I can.

14 MR. HERETH: That's a great question
15 because, if you're reading it that way, and
16 you're not as close to it as those of us that are
17 doing it, that points out that we need to clarify
18 that. So, it's great question, because the
19 intent is really that this Recommendation 4 is to
20 build upon something that's already being done
21 and to use it as a vehicle to improve the
22 information-sharing. It's not meant to be a

1 regulatory construct or to mandate action. So,
2 that's something we clearly need to clarify, yes.

3 Does that help?

4 MR. ROBERTI: A little bit, yes.

5 (Laughter.)

6 MR. HERETH: Okay.

7 MR. ROBERTI: I'm a trained lawyer.

8 So, I give words their plain and ordinary
9 meaning, and that can be dangerous at times.

10 (Laughter.)

11 MR. HERETH: Yes, yes. And I'm an
12 engineer that works with lawyers every once in a
13 while. I'm learning, slowly sometimes, that
14 that's important. Thank you.

15 Yes, that's a great perspective.

16 Thank you very much for that.

17 Anything else on 6 or others?

18 (No response.)

19 HON. BURMAN: No, we're good.

20 MR. HERETH: Okay. No. 7 is one of
21 the build-upon concepts, which is to look at
22 building upon existing information-sharing

1 systems already in place for use in energy
2 pipelines and select those that appear to have
3 value to accelerate the development and the
4 maturity of this process, of our voluntary
5 information-sharing.

6 One would be an example of the work
7 that was done by PRCI that has been shared with
8 this Committee. And then, certainly one I would
9 add is the work of the Common Ground Alliance
10 that's been referenced here several times this
11 morning.

12 So, the idea, again, is built upon
13 processes for sharing information that are
14 already in place to help accelerate development
15 of other pieces and maturity as well.

16 Any comments or questions on 7?
17 Again, that's building upon processes that are
18 already in place.

19 HON. BURMAN: The only thing I am
20 sensitive to is this PS-7, while it talks about,
21 for example, as a standalone, it seems like we
22 might be pushing a PRCI perspective here. So, to

1 the extent we do talk about PRCI later and other
2 things, we just should be sensitive to that.

3 Unless we're voting to do that --

4 MR. HERETH: No.

5 HON. BURMAN: -- that we don't --

6 MR. HERETH: Yes.

7 HON. BURMAN: -- make it seem like

8 it's --

9 MR. HERETH: Yes.

10 HON. BURMAN: -- you know, that's the
11 approach to take.

12 MR. HERETH: No, that's not the
13 intent, is to have that be considered for voting.
14 In fact, our intent is we've asked the PRCI to
15 develop a short presentation of what they do and
16 how they do it, and how they would do this going
17 forward in a place they would play. And we'll
18 include that as an example. We would include
19 examples of CGA. We've got some use cases that
20 we're getting from ASIAs. And we'll use those as
21 examples. That was not meant to be a part.

22 Thank you for saying that, yes. Great

1 point.

2 HON. BURMAN: Does anyone have any
3 comments or suggestions or questions? At the
4 table?

5 (No response.)

6 On the phone?

7 (No response.)

8 In the audience?

9 (No response.)

10 Okay.

11 MR. HERETH: No. 8 is really taking
12 the version of PS-5 that was applied to operators
13 and applying it to integrity assessment service
14 providers. So, it applies to in-line inspection,
15 direct assessment, pressure testing, and
16 applications of other technology. And again,
17 it's really analogous to that No. 5.

18 HON. BURMAN: Any comments? On the
19 phone?

20 (No response.)

21 In the audience?

22 (No response.)

1 Okay. I think you're good.

2 MR. HERETH: And then, No. 9 is taking
3 that same thinking and applying it to non-
4 destructive evaluation service providers. I
5 think one of the things that we've talked about
6 as an aside here, one of the things we've talked
7 about in our looking at this, is actually
8 combining 5, 8, and 9 into one recommendation and
9 having three subpieces that relate to the
10 specific stakeholder group, because they really
11 all talk about developing a process for sharing,
12 and there's common elements to them. Each plays
13 a little bit different role, but there's a way
14 that we may be able to combine these ultimately.
15 But this is that same kind of thinking about
16 sharing information, ultimately, within a VSI
17 hub, provided by non-destructive evaluation
18 service providers.

19 HON. BURMAN: Anybody have any
20 comments or questions? On the phone?

21 (No response.)

22 In the audience?

1 (No response.)

2 No, Mark, you're good.

3 MR. HERETH: Okay. No. 10 really is
4 defining the process for disseminating lessons
5 learned or for sharing information with respect
6 to lessons learned. If you recall, in one of our
7 first meetings, we discussed the idea of one of
8 the easiest, simple things to achieve at the
9 outset of setting up a VIS is to share lessons
10 learned, those lessons at a very high level. So,
11 lessons from incidents, lessons potentially from
12 near-misses, and that, over time, we could evolve
13 towards using the sharing of more discrete
14 integrity assessment information.

15 And the place to get some early wins
16 is really with this No. 10, which is
17 disseminating lessons learned and using the
18 vehicles that already exist within the trade
19 associations -- and they're all listed there --
20 as well as the research organizations that are
21 also listed. So, it's really to build upon and
22 to make use of, maximize the use of, the trade

1 associations and the systems that they already
2 have. And we will have a compilation of those in
3 a table in the report that reflects that.

4 Two other points that -- go ahead.

5 HON. BURMAN: And Michael Bellamy I
6 think has a comment.

7 MR. HERETH: Okay, good. Good.

8 HON. BURMAN: Michael?

9 MR. BELLAMY: Diane, thank you. Can
10 you hear me okay?

11 HON. BURMAN: Yes.

12 MR. HERETH: Yes.

13 MR. BELLAMY: Good. Okay. Thank you.

14 No objection to the concept of
15 developing an approach that's, of course, out for
16 sharing. You know, I'm all for that ILI data.

17 When you talked about combining and
18 the only difference -- there is a difference
19 between ILI and NDE and some of the other data
20 sources, in that API 1163 already provides an ILI
21 mechanism for the sharing of ILI data back and
22 forth. So, when you come to combine them, I'm

1 not sure that they will combine readily.

2 MR. HERETH: Yes, fair point. I
3 think, Michael, what we were thinking was -- and
4 maybe I'll say it this way -- is, to build upon a
5 comment that the Chairman made this morning when
6 we were talking about comparing Options or
7 Alternatives A and B, is that I think we can show
8 in a table the types of information and the roles
9 that each of these parties, these three parties
10 would play, in a way that simplifies it. But I
11 would agree with you 100 percent, the specific
12 data and the way in which the data is used would
13 be different among those three parties.

14 MR. BELLAMY: Well, not only that, but
15 the stopping point is different. The process,
16 the stopping point for the process is different.
17 So, maybe if that table showed where an existing
18 process could be built upon and where there is no
19 existing process?

20 MR. HERETH: Oh, yes, exactly.

21 MR. BELLAMY: Yes.

22 MR. HERETH: Yes, I agree 100 percent.

1 MR. BELLAMY: Yes.

2 MR. HERETH: And that's really why 4
3 is stated the way that it is, because you do have
4 a good starting point there, yes.

5 MR. BELLAMY: Yes. Thank you.

6 MR. HERETH: Thank you.

7 And I am certainly open to the fact
8 that we may not be able to combine those. I do
9 think, though, that the Chairman made a great
10 point this morning, that we really have to work
11 to simplify the way in which we message some of
12 this.

13 MR. BELLAMY: Yes.

14 MR. HERETH: And I don't know that you
15 said it exactly that way. But I think the
16 messaging here is really important, yes.

17 MR. BELLAMY: I think that's right.
18 I have supported it. And, you know, a table that
19 clarifies it would certainly help.

20 Thank you.

21 HON. BURMAN: I think, for everything,
22 it's also making sure that we are explaining in a

1 way that drives home the importance, and to the
2 extent that we look to being collaborative as
3 well --

4 MR. HERETH: Yes, yes.

5 HON. BURMAN: So, a key takeaway.

6 MR. HERETH: Yes. Yes. Thank you.

7 Dr. Borener?

8 DR. BORENER: It's Dr. Borener. This
9 is Sherry Borener.

10 So, just for my notes and
11 clarification, when we talk about defining this
12 process, we referenced the VIS data hub, which is
13 on page 18 in the document. And we are talking
14 about, essentially, dissemination through this
15 process, right? So, we should make sure that
16 it's clear that we're not launching a separate
17 process in 10, but, rather, using the VIS hub for
18 that communication, right?

19 MR. HERETH: Yes.

20 MR. WARNER: Diane, this is Chris
21 Warner. Can I interject a question?

22 HON. BURMAN: Yes. Thank you.

1 MR. WARNER: Hey, Mark, this may be
2 obvious, but to build on what Dr. Borener just
3 said, when I read this, at least initially, it
4 felt like the full focus of disseminating the
5 lessons learned is around these three locations.
6 I am assuming we are also creating or encouraging
7 the creation of some sort of a dissemination of
8 lessons learned within the VIS itself, or is that
9 not the case?

10 MR. HERETH: Oh, it is. It is. The
11 one thing that the recommendations lack which
12 helped clarify that is, at this point, it's been
13 presented as a table. So, we talk about the
14 different types of information. It's things like
15 lessons learned, near-misses, learnings from ILI
16 as well as discrete data from ILI. And Dr.
17 Borener has actually found us a great pictorial
18 representation of how to present that. We don't
19 have it in here, but, Chris, it points out that
20 we need to have material like that that helps to
21 keep that clear.

22 Because it's really not the intent of

1 the hub to focus just on ILI and DA and the work
2 that comes out of excavations. It's to share
3 more broadly the lessons learned that we have in
4 applying processing within pipeline safety.

5 HON. BURMAN: And this is Diane
6 Burman.

7 I'll just point out, also, that back
8 in the Mission and Objectives Subcommittee
9 report, especially under the issue analysis team
10 section, it does talk about lessons learned and
11 incorporating that from the VIS model itself.
12 So, to the extent that we also look at the
13 Subcommittee reports to help facilitate more
14 broader incorporation, especially in the
15 processes, I think that will be helpful.

16 MR. HERETH: Yes. I think a way that
17 we can help improve the understanding that gets
18 to the questions that are being asked is to
19 really reference back to the charter and specific
20 points that are made within the charter in terms
21 of what the scope of the work is. I think that
22 will help.

1 So, I appreciate those questions.

2 It's good.

3 HON. BURMAN: Okay.

4 MR. HERETH: And then, the last point
5 here -- and not last by level of importance, but
6 it's just as important as the others -- is to
7 have a lessons learned process to be able to
8 share with public stakeholder groups. And we
9 list, certainly, two here that are represented on
10 this Committee, the Pipeline Safety Trust and the
11 Pipeline Safety Coalition, as well as interested,
12 federal, state, and local officials. So, it's
13 really to have the processes in place to share
14 information to those stakeholders as well.

15 Questions or comments on that one?

16 MS. BLYSTONE: This is Kate. Can I
17 just jump in?

18 MR. HERETH: Good morning, Kate.

19 MS. BLYSTONE: Good morning. It's
20 still dark here.

21 (Laughter.)

22 MR. HERETH: That's why I'm saying

1 good morning.

2 MS. BLYSTONE: Yes. So, I support
3 this. The only question I have is whether or not
4 -- I mean, I think it's good language in that it
5 says that "such as" instead of specifically these
6 groups do not obey.

7 MR. HERETH: Yes.

8 MS. BLYSTONE: So, there's some
9 lenience in there. And I also like the addition
10 of interested federal, state, and local
11 officials. I just wanted to offer my support for
12 that.

13 So, thanks.

14 MR. HERETH: Thank you. Thank you.

15 HON. BURMAN: Any comments on this?

16 (No response.)

17 And again, I'm not sure if we need to
18 vote on anything in here. Do you have what you
19 need for the next steps?

20 MR. HERETH: Yes. I don't know that
21 we need to vote. In fact, I think there's value
22 -- we're able to proceed with these, with your

1 comments and input the way they are. I think
2 there's refinement and improvements that could be
3 made to these, and we welcome that. So, I think
4 if we voted on these at our next meeting, we
5 would be fine, unless there is a reason that you
6 all want them voted on.

7 HON. BURMAN: And right now, we also
8 have Simona Perry.

9 DR. PERRY: Hi, guys. I have just one
10 question, I think, and I know it will be
11 clarified by the other Subcommittees.

12 But, as I was reading this or thinking
13 about this in isolation, and not really having
14 been involved in the process, and as the
15 reporting Subcommittee Chair, I want to make sure
16 that I understand and I can give you maybe just a
17 thought about including some text with this that
18 specifies, when we talking about defining and
19 developing anything, making sure that it has been
20 clearly stated who is defining and who is
21 developing, and how that fits in with the
22 governance structurally that we decide to go

1 with.

2 Does that make sense?

3 MR. HERETH: Yes, it does. It does.

4 DR. PERRY: Okay.

5 MR. HERETH: In fact, that's why, in
6 one of the earlier recommendations, we made
7 specific or explicit reference to the governance
8 and how the governance would be defined, because
9 we viewed this as this would be a function that
10 would occur under the direction of the Executive
11 Board.

12 DR. PERRY: Okay.

13 MR. HERETH: But it's a great point.
14 This is a place where figures and diagrams I
15 think are going to be helpful in helping to
16 convey the messages here. It's a great point.

17 DR. PERRY: Okay. Thank you.

18 HON. BURMAN: Anyone else on the
19 phone?

20 (No response.)

21 In the audience?

22 (No response.)

1 No? Okay.

2 MR. HERETH: In fact, it points out
3 that, possibly within our governance discussions
4 and recommendations, we need to have a
5 recommendation that talks about that whoever is
6 administering this or the governing body would
7 assign responsibility, accountability, and
8 authority, or roles and responsibilities, so that
9 people understand that that would be something
10 that would be done under the governance. Just
11 food for thought, but I appreciate your point.

12 HON. BURMAN: I think this was really
13 good. I think what would be helpful is also
14 looking at the difference of committee reports
15 and seeing how the process sharing fits into
16 that; what else needs to get fleshed out --

17 MR. HERETH: Yes.

18 HON. BURMAN: -- whether from your
19 Subcommittee or the other Subcommittees, as well
20 as folks taking a look at this and seeing what
21 process-sharing steps or key takeaways may still
22 be missing that can give you feedback on that.

1 MR. HERETH: Uh-hum. It's good, yes.

2 HON. BURMAN: With that, do you have
3 any comments?

4 MR. ROBERTI: If I could just make one
5 comment? I have two.

6 I can't stay any longer. I would like
7 to. I went through a lot of the documents, and I
8 really believe in what we're doing here. I think
9 this is so synergistic with SMS, which is the
10 next frontier for achieving what the Secretary
11 and the Administrator want, which is zero
12 incidents.

13 I noted here a statement that "This
14 program shall not be converted into a mandatory
15 program." And I understand why that's in there.
16 But, at the same time, and to my question that I
17 just asked, this program should probably not have
18 mandatory elements in it, either, because that's
19 the other piece of it.

20 So, I have to leave now. I had a
21 couple of questions on -- maybe I misinterpreted
22 that language, but I know you're going to be

1 discussing other parts of this. And I would just
2 reference page 22, Tech 1 and Tech 2, where there
3 seemed to be conditions for operators to
4 participate. There seemed to be conditions for
5 what operators need to be, if they participate,
6 with obligations to follow up. And what I don't
7 want to do is chill participation, because this
8 initiative is only going to work if it's open,
9 voluntary; it's a welcoming form; it's a
10 welcoming initiative.

11 And the NTSB, you know what's
12 interesting about the NTSB, it's so well-
13 respected, but it has no real mandatory authority
14 over anyone. All it can do is recommend. And
15 yet, everyone listens to the NTSB, as we will be
16 doing in Massachusetts.

17 So, I would just leave you with those
18 comments. As you're pulling this all together,
19 that's, I think, a theme that is very important
20 for this to be a long-term success.

21 HON. BURMAN: Okay.

22 MR. ROBERTI: Thank you. And thank

1 you, Chairman, for all the work you're doing. I
2 appreciate your coming down from New York, and I
3 know how busy your day is, as a former
4 Commissioner, but this is really important stuff,
5 and we are grateful to have your dedication to
6 this effort, as well as everybody else on this
7 Committee.

8 HON. BURMAN: Thank you.

9 So, with that, Mark, thank you.

10 Paul, thank you for your support.

11 We are going to look at Best Practices
12 now. I think that that will put us at about
13 12:15-12:30 instead of the 12 o'clock lunch. So,
14 I think we'll get started on the Best Practices,
15 and that leaves us, then, coming back for the
16 remainder, which should have us on target,
17 hopefully, leaving a little earlier than 5:00.
18 So, why don't we look to Best Practices now?

19 MR. JENSEN: This is Leif.

20 I'm not sure if Eric Amundsen was able
21 to join the call.

22 Eric, are you out there?

1 (No response.)

2 Max, are you in attendance at the --

3 MR. HERETH: Yes, I just got a text
4 from Eric and he's stuck. He will be back in the
5 afternoon. I'm wondering if there's a way we
6 could shift things around.

7 HON. BURMAN: Yes. If Michael Bellamy
8 doesn't mind on the Technology and R&D, we can do
9 that now, and then, start with Best Practices
10 when we come back.

11 And also, when we come back after
12 lunch, we'll do just a recap or check in on if
13 anyone had any thoughts after our working lunch.

14 Okay. Michael, are you okay with --

15 MR. BELLAMY: Well, I think we should
16 probably ask Bryce because he's the Chairman of
17 that Subcommittee.

18 HON. BURMAN: Oh, I'm sorry.

19 MR. BELLAMY: But thank you for the
20 fact that you remembered me, which is great.

21 (Laughter.)

22 HON. BURMAN: Did I say Michael? I

1 meant Bryce.

2 MR. BELLAMY: Yes, Bryce deserves the
3 credit more than I do.

4 MR. BROWN: Bryce Brown here. Can
5 everybody hear me?

6 HON. BURMAN: Yes.

7 MR. BROWN: Very good. Very good.

8 Bryce Brown with the ROSEN Group. I'm
9 the -- I guess, I think I am -- I'm the Chair of
10 the Technology and R&D Subcommittee. And let me
11 get to that point.

12 I do not have access to the site, but
13 I do have access to the document. I'll go
14 through these one by one.

15 HON. BURMAN: Thank you.

16 MR. BROWN: So, as a Subcommittee, we
17 have come quite a distance since the last in-
18 person meeting August 22nd-23rd. We came to the
19 September 7th delivery of a first draft. We
20 actually delivered our first draft on the 12th of
21 September. And just recently, more recently, on
22 the 25th, we submitted to Dr. Murray a latest

1 revision or current version of the document.

2 So, that said, we are still refining
3 these recommendations over the last 10 days, I
4 would say. And then, in the document that we're
5 looking at here this morning, we've got about 25
6 recommendations now. And as we continue to
7 revise, if you will, or refine, we're still at
8 about the same number, generally speaking. We've
9 had a couple that we would consider to be
10 combined, and we'll talk about that here shortly.
11 And then, we may add a couple of more.

12 So, let me just to that point, looking
13 at the recommendations from Technology and R&D,
14 we had the first recommendation. It basically
15 reverberates with what Mark had mentioned for
16 Process Sharing. It says that, "To participate
17 in the VIS, operators and service providers must
18 formally adopt and implement the current
19 recommended practices/standards for in-line
20 inspection."

21 This includes -- of course, we've been
22 talking about it a lot already on API 1163, which

1 is also referencing the NACE Standard Practice
2 0102 and, then, ASNT ILI Personnel Qualification
3 Standard. So, we feel compelled, where we sit,
4 to ensure that this is something that we're
5 taking full advantage of to enable this main part
6 of the mandate to bring in the ILI information
7 and, of course, the related field verifications.
8 But this is something we feel compelled. It is
9 also something required. And this is our first
10 recommendation.

11 Are there any comments thus far or
12 questions?

13 HON. BURMAN: Does anyone have any
14 comments or questions on the phone?

15 (No response.)

16 In the audience?

17 (No response.)

18 So, the one question or comment that
19 I would focus on here is one to the extent that
20 -- or, actually, two comments. One, to the
21 extent that we talked about API 1163 before, and
22 so to make sure that they're aligned when we talk

1 here.

2 The second is, in light of a comment
3 that Paul Roberti made about having nothing in
4 the report or the VIS program that's mandatory,
5 we do need to explain some of the understandings
6 because there will be some necessity for minimum
7 standards or minimum focus for participation that
8 needs to get somehow aligned and incorporated in
9 the statutory authority, and then, perhaps
10 phrased out in some fashion by VIS. So, I do
11 want to make sure that, while some folks may take
12 a little look at some of this as mandatory, how
13 we address that issue in a way that's helpful, so
14 that there's buy-in from the integrity of the
15 program itself when we use certain minimum
16 standards or feel that there is a need for some
17 minimum standards.

18 Erin, did you have a comment?

19 MS. KURILLA: Yes. Yes, I just wanted
20 to kind of echo what you are saying.

21 Sorry. Erin Kurilla, APGA.

22 Echo what you were saying and ponder

1 if there is a way -- I know this is pretty much
2 asking a big "ask," and perhaps it's a lot of
3 work, but it might be the way to get your intent
4 without creating those barriers for
5 participation, like Paul was talking about. And
6 that's doing a lot of what you did in the third
7 bullet here, which is really explain exactly what
8 it is within the RPs that we're asking
9 participants to do.

10 I'm not super-familiar with all of the
11 elements and recommendations and requirements
12 within the RPs, but, if it's possible that there
13 are certain elements that wouldn't be required to
14 participate in the VIS, then I would hate to
15 inadvertently say that you have to do everything
16 in the RP in order to participate. So, I would
17 encourage, to the extent practical, that we
18 extract those elements out of the RP and
19 specifically cite them, even if it's just a
20 rattling off of them, of the references. That
21 might work, instead of just reiterating them.
22 That way, people do have that comfort level that

1 they're implementing aspects of the RP for a
2 reason, and not just holistically implementing
3 the RP.

4 HON. BURMAN: Thank you.

5 Alan?

6 MR. MAYBERRY: Well, I mean, I heard
7 what Paul said. I also think, I mean, we can't
8 be so limiting to avoid structure and standards.
9 I know all too well some of the data quality
10 issues we deal with. And if you don't have
11 credible data and credible processes that lead to
12 the input of that data, it really creates another
13 issue.

14 So, I think the intent of the system
15 is voluntary. I don't think that means we can't
16 have a structure, a relatively rigid structure, a
17 protocol, if you will, that we drive towards.
18 So, that's why I tend to be okay with that.

19 I don't know, Erin, I think
20 recognizing that this goes beyond, ultimately,
21 ILI, that "where relevant" or something might be
22 appropriate to put in there, yes. But I do think

1 we need the structure, though, just for quality
2 reasons.

3 MS. KURILLA: But, if I might just
4 follow up, I'm totally okay with structure and I
5 think having consistent data is integral to the
6 success of the work of the thing. I just don't
7 want us accidentally requiring things that really
8 have nothing to do with the VIS. And again,
9 that's coming from a place of not a lot of
10 knowledge around what's exactly in all of those
11 RPs.

12 HON. BURMAN: I think some of that,
13 also, would come from working through the
14 processes of what makes sense for the most
15 participation with some of the caveats that are
16 key; you know, kind of agility, agreeing, sharing
17 what you're sharing, and then, how to go about it
18 to have quality data or quality analysis, and
19 what the focus is.

20 So, to the extent that we incorporate
21 some of that flexibility, so that we're not
22 afterwards locking people out, I think is

1 important. And so, again, some of this will have
2 to be delving into some of the more technical
3 folks when it gets to that point. But we have to
4 recognize that in this report and give some
5 commonalities that will be important.

6 Okay. I think we're back to Bryce
7 now.

8 MR. BROWN: Okay. So, just -- another
9 question?

10 HON. BURMAN: No, I think we're good.

11 MR. BROWN: Okay. So, just to refresh
12 on exactly what was said there, we do see things
13 a little bit detailed, right? I think we've all
14 been looking at this whole endeavor with a bit of
15 technical emphasis on, and we like to think and
16 consider what this thing is going to look like in
17 the end.

18 So, I do understand where Erin was
19 coming from with her comments, but, at the end of
20 the day, we also need to consider that we're
21 trying to share relevant data that somehow can
22 lead to this continuous improvement and

1 possibilities for additional R&D or nuances.

2 So, the structures that these things
3 present and provide to us, albeit it may seem
4 somewhat detailed when you look at it for the
5 first time, but I do agree that, as we start to
6 use them more, we will start to find our way
7 through that. So, I appreciate that comment.

8 Moving on --

9 HON. BURMAN: Thank you.

10 MR. BROWN: That's No. 2. This goes
11 back to the original discussions. And I think
12 Cote mentioned that the majority of his business
13 at the time was unthinkable and we needed to
14 consider in our efforts the non-ILI-type data.

15 There's another strong recommendation
16 around outreach and the standards used for safe
17 pipeline operations and programs. So, when you
18 see some of those listed there, a lot of us were
19 aware of those, and there is a recommended
20 document to deal with direct assessment and other
21 items.

22 What we feel with these standards of

1 recommended practices is they bind to the terms
2 and definitions. They also help us to understand
3 some of the key details around information being
4 gathered, process flows. And with those
5 approaches and these recommended practices and
6 standards, we can, then, envision how that data
7 would, then, be shared for continuous improvement
8 and, more over, how we in architecture IT can
9 accept that data moving forward, as we go through
10 the rest of these recommendations.

11 So, Tech 2 is taking care of the non-
12 ILI part of the mandate. And I'll offer it up
13 for discussion and comment.

14 HON. BURMAN: Does anyone have any
15 comments? On the phone?

16 (No response.)

17 In the audience?

18 Yes, we have one. John?

19 MR. STODY: John Stody with the
20 Association of Oil Pipe Lines.

21 I would just reiterate, since it's a
22 similar issue on 2, it's very tricky business to

1 start requiring and mandating for participation
2 some of these recommended practices and
3 standards. And not only is it intent, but also
4 implement. How do you know they implemented?
5 Are we going to start auditing? If they're not
6 in, are you going to kick people out? You just
7 go down some roads -- for the very reasons the
8 trades themselves don't require participation to
9 RPs.

10 Now that is an issue itself, because
11 you want people to do things and the regulatory
12 code provides mechanisms for requirements. But
13 some of these that are listed are very commonly
14 accepted, so it's easy to think, oh, this should
15 be no problem. Others on the page, and No. 2, RP
16 1183 doesn't even exist yet. So, it's expected
17 in the next year, and we're very hopeful. That's
18 an exciting document. But binding people in
19 advance to things that you don't really know the
20 contours of will be more potential default.

21 HON. BURMAN: Looking at that, I think
22 that -- this is Diane Burman -- I think that

1 there also may be an opportunity for us, when we
2 discuss the technology and R&D aspects, that we
3 carefully look at recommendations that
4 acknowledge that, and that doesn't necessarily
5 lock it in from the statutory perspective,
6 especially as technology and R&D may evolve as
7 well, and keeping it into consideration, but that
8 it also may be part of the objective in the
9 statutory authority that gives to whatever the
10 regulatory framework or non-regulatory framework
11 is set up from a leadership perspective; that
12 they carefully analyze these aspects and how to
13 fit it in. Or, if there are alternatives, what
14 would that mean from a practical perspective in
15 terms of, then, noting that people are doing it
16 or not doing it? So, somehow I think we can
17 craft acceptable, substantive language that
18 addresses this issue.

19 MR. BROWN: Thank you.

20 And I agree, and not to wordsmith
21 here, but there are ways to tweak this so that it
22 isn't from a legal or regulatory perspective a

1 requirement, but you still use the benefits of
2 these documents. You know, this is the
3 framework. If you're going to submit
4 information, it has to be in line with RP 1163,
5 or whatever is the appropriate model.

6 So, you know, these are on the page
7 because they offer good things, and we can
8 harness that without going down some other road
9 that might deter participation or provide a
10 barrier.

11 HON. BURMAN: And again, I think the
12 key questions are, what are the key takeaways and
13 the "why"? And then, are there alternative
14 opportunities here to get to that?

15 MR. BROWN: Just looking at our next
16 recommendation, it is really the heart of the
17 matter is, what are the inputs that shall be
18 uploaded into the VIS that provide the ability to
19 do meaningful analysis? And we agree, I think,
20 in our Subcommittee that we can go back and look
21 at these and reword those in a way that are less
22 onerous per se, not in these standards, but

1 really looking at, how are we looking into that
2 and pull from them the important parts that help
3 us to define what is actually going to be into
4 the VIS to do this analysis. So, I think we can
5 go back and refine those.

6 HON. BURMAN: And this may be -- this
7 is Diane Burman -- this also may be where it also
8 explains that the statutory authority shouldn't
9 be so onerous or locked in; and therefore, sort
10 of tees it up, so that you're not getting away
11 from some of these good recommendations, but
12 you're acknowledging that these recommendations
13 should not, then, be lifted to just as they are
14 being the statutory language.

15 MR. BROWN: Yes, very good. Thank
16 you.

17 So, moving on to the Recommendation
18 No. 3, Tech 3, "Voluntary Information Sharing
19 shall consist of defined qualitative and
20 quantitative inputs that are required for
21 meaningful analysis." It supports Process No. 2,
22 the Recommendation No. 2, for process sharing.

1 Here, we're really talking about all
2 of what we have considered qualitative
3 information and a process flow. It helps us
4 understand our lessons learned and how we can
5 share that. What is it that we share? And then,
6 also, this idea of discrete data or numerical
7 data, ILI result or mixed results, and how do we
8 make sure that we're doing that the right way for
9 many processes? That is what Recommendation No.
10 3 is about.

11 Any comments or questions?

12 HON. BURMAN: No, I think we're good.

13 MR. BROWN: All right.

14 HON. BURMAN: Anyone on the phone?

15 (No response.)

16 Okay. Thanks.

17 MR. BROWN: Okay. Moving forward to
18 Tech 4, Tech 4 says that, "The Voluntary
19 Information Sharing shall consider data
20 specifications for use by all participants." The
21 background here is the specifications shall
22 define the qualitative parameters, e.g., lessons

1 learned; the quantitative parameters, e.g.,
2 numerical data from ILI and NDE.

3 So, the specification will define the
4 available options for categorical data types,
5 attribute names, codes, acronyms, data formats,
6 data types, measurement units, and for
7 measurement process and the resolution of the
8 data captured for profiles and volumetric
9 parameters.

10 This is where we want to make sure
11 that the information we're sharing is understood.
12 We have certain naming that we use in the
13 industry where we're mixing words, like somebody
14 might call something "an anomaly" versus someone
15 might call that same thing "a defect". But we
16 know that those have two separate and clear
17 meanings.

18 That is basically what we're talking
19 about here, is that we need to understand the
20 data that's being shared and the conventions, the
21 terms and definitions that a lot of these
22 standards offered, that we're using those same

1 namings and moving that forward into this sharing
2 process.

3 Any questions on this one?

4 HON. BURMAN: Any questions on the
5 phone?

6 (No response.)

7 In the audience?

8 (No response.)

9 No, we're good.

10 MR. BROWN: Okay. And again, when
11 we're all good, I just want to make sure because
12 sometimes I read these and I don't know that
13 they're clear enough.

14 HON. BURMAN: One thing that I will
15 just mention -- this is Diane Burman -- is that
16 we did talk about the mandatory language and what
17 that means. And we haven't heard from all the
18 folks on that. So, it is a process point for me,
19 just to make sure that we move back in on this
20 mandatory focus. I don't know that "mandatory"
21 is the right word, but that we do move back in
22 for everybody's comfort level.

1 And so, to the extent that folks have
2 comments that they want to share with the
3 Subcommittee Chairs, or me and Christie, outside
4 of this meeting, and give food for thought on
5 that, so that we can identify if there are any
6 concerns, that would be helpful.

7 Okay. Thanks.

8 MR. BROWN: Okay. Tech 4-2, so the
9 recommendation states, "The Voluntary Information
10 Sharing system shall consider the minimum
11 required `essential variables' required for the
12 data delivered". That comes from Recommendation
13 No. Tech 4 and Tech 4-1.

14 So, essential variables also refers to
15 the essential elements. We want to make sure
16 that we understand those items that are needed to
17 be understood in order to interpret that result
18 properly and trust that we will gain in that data
19 when delivered.

20 If we think about it a little bit
21 further, we have had some revising of the
22 language. But, basically, the essential elements

1 and variables for a reported metric minimum
2 dataset, that, of course, variables by metric,
3 and these should be defined for that metric in
4 order to standardize what can be reported from
5 the submitted data.

6 An example would be where we're doing
7 direct comparison between an ILI result and an
8 NDE measurement, but we have not considered the
9 measurement error of one or the other. We
10 should, of course, consider the measurement error
11 of both. The measurement error is the case with
12 the individual variable to understand that
13 assessment, and then, to gain trust in that
14 value. That is what this recommendation
15 endeavors to fulfill, is this idea that we need
16 to make sure we understand the essential
17 variables or elements of any data type that might
18 be submitted to VIS.

19 HON. BURMAN: Does anybody have any
20 comments or questions?

21 (No response.)

22 I think someone may in just a minute.

1 MR. BROWN: Okay.

2 MS. KURILLA: Did you want -- are you
3 ready for a comment?

4 HON. BURMAN: I think so, yes.

5 MS. KURILLA: Oh. I was just going to
6 say I think 4, if it was in isolation, is a great
7 recommendation. I think it gets to the heart of
8 a lot of what Recommendations 1 and 2 were also
9 getting at. They were the process by which we --
10 I'm guessing they were the process by which the
11 intent of 4 was going to be reached.

12 I think laying out things like
13 acronyms, data formats, data types, and making
14 that all clear, is absolutely appropriate and
15 necessary. So, I actually kind of like
16 Recommendation 4 a lot, and I'm wondering if it
17 actually ends up being duplicative of some of the
18 other recommendations -- or other recommendations
19 are duplicative of it.

20 MR. BROWN: Yes, good. Good point.

21 Recommendation No. 4 in our current
22 version, at the Subcommittee we had it as Tech

1 4-1. And so, it is supposed to be an independent
2 recommendation from the other three, but, yet,
3 still related to the point of data and making
4 sure that we understand it the best we can, to
5 share it specifically to the VIS.

6 So, Tech 4, once again, is talking
7 about data generally, when we think about data.
8 For example, with reference to the pipeline, do
9 we agree that it's 0.250 and three decimal points
10 or do some of us call it 0.25? That's one
11 example of measurement unit, as an example. So,
12 those are the things we're talking about in Tech
13 4.

14 4-2 is essential variables. All of
15 that is shared. If there's any essential
16 variable that needs to go with the datapoints or
17 item being shared, what are they, and then, how
18 can we make sure that we have those available, or
19 that we trust these datapoints? I don't know if
20 that helps.

21 But, on the next point, 4-3, we're
22 going to talk about quality.

1 HON. BURMAN: And thank you.

2 Mark, do you have a comment?

3 MR. HERETH: Hey, Bryce, thank you for
4 the work that you guys have done here.

5 I want to support what Erin was just
6 saying. I think that it seems like your intent
7 in Tech 4, in part at least, is to ensure that
8 you get data that you can use from a number of
9 different places, and use it in a meaningful way.
10 Actually, it was Alan Mayberry's point earlier, I
11 think.

12 And then, to build on what John Stoody
13 was saying, it's really that your Tech 1 and Tech
14 2 are sort of vehicles to help facilitate getting
15 this data in the right way, but it's not that
16 those are the only ways of doing it or required
17 means. It's they're a vehicle to get the
18 information in a way that you can have it to
19 analyze in a meaningful fashion. Is that a safe
20 way to say it?

21 MR. BROWN: Yes, that's correct, Mark.

22 MR. HERETH: Yes. I would just think

1 about maybe moving Tech 4 up to be your leading
2 recommendation, your first recommendation, and
3 that these others are really supporting -- 1 and
4 2, in particular, support gathering the data in a
5 way.

6 I think maybe what would help people
7 is to see that you're -- I think there's a couple
8 of points, and I may be stealing thunder from
9 what's ahead. But I think you're trying to make
10 sure that you have data that you can bring
11 together and use in a meaningful way, meaning you
12 have common data elements, but that you also have
13 the flexibility to use unstructured data in a
14 way; give yourself the flexibility to have
15 unstructured data as well. Is that safe to say?

16 MR. BROWN: I think it is safe to say.
17 And what we could do is refer back to the
18 architecture IT experts here and our concepts. I
19 mean, we can speak to that a little bit more.

20 But I see what everybody is
21 mentioning, and we can surely consider combining
22 a few of these into this Tech 4, the 4-2, 4-3,

1 and, basically, those three; see where we can do
2 that. We will endeavor to attempt to do that and
3 make something that makes sense here.

4 Again, I think I've got to fall back
5 to the detail side. That is, what is the data?
6 And do we also understand the essential
7 variables? And those are important topics with
8 respect to the circumstance, but I think we're on
9 the same page.

10 MR. HERETH: Just one other comment.
11 That is, I appreciate the level of detail because
12 part of communicating this is that we need to
13 communicate to people that it is going to be
14 critical or essential to have data that is
15 sufficient enough and common enough to be able to
16 use it in a meaningful way. But I think one of
17 the things we want to be careful of is not being
18 so detailed or so prescriptive here that it
19 scares people away or that, actually, we would
20 have trouble with people getting onboard with
21 what we're trying to do here. So, I don't mean
22 that to be critical. I just mean that from a

1 pragmatic standpoint.

2 MR. BROWN: Totally agree. Totally
3 agree.

4 MR. HERETH: Yes.

5 MR. BROWN: I agree.

6 MR. HERETH: I think maybe having that
7 diagram that you guys developed early on would
8 help, because I know, when I saw it, it gave me a
9 sense of relief. So, somewhere up early on, even
10 if -- and I know it will be in the document, but
11 I think the detail here is somewhat offsetting
12 potentially. And if there is a way that we can
13 help -- but, in saying that, though, I don't want
14 to underestimate the importance of having the
15 right data to be able to do the analyses that
16 needs to get done. So, I don't mean to
17 shortchange that in any way whatsoever.

18 MR. BROWN: Sure. I think it's
19 something that some of us live with day-in and
20 day-out with regard to some of these topics on
21 ILI data versus In-The-Ditch. So, we do bring
22 that level of detail --

1 MR. HERETH: Yes.

2 MR. BROWN: -- to such a
3 recommendation, and that's on us to try to step
4 back, look at the big picture, and try to refine
5 these according to the industry's wishes, which
6 is what we endeavor to do here. So, we'll take a
7 look at these three, which is Tech 4, Tech 4-2,
8 Tech 4-3.

9 Tech 4-3, real quick, just to go to
10 that one real quick, is that it says, "The
11 Voluntary Information Sharing system shall
12 consider the requirements for data
13 quality/validation that will be required prior to
14 delivery into the system."

15 And I know we've talked about this
16 just a little bit, and this open data structure
17 is that you can put all kinds of data into it and
18 start to align and vet them together in a way.
19 But do we need to understand that data prior to
20 us going to the vehicle that brings it into VIS
21 to be shared? And that was the intent of 4-3 is
22 speaking toward.

1 If there's any offers there for
2 questions or comments or edits, we're glad to
3 hear those.

4 HON. BURMAN: Okay. And Sherry has a
5 comment now.

6 DR. BORENER: Okay. This is Sherry
7 Borener.

8 So, I'm recalling all of the
9 discussions about ISIAS and the third-party
10 vendor. So, with what your comment was about why
11 these things are important, no matter what data
12 you get in there, you can always ask your third-
13 party tech vendor to resolve issues of ambiguity;
14 you know, bring data into a common standard, and
15 so on. It's just a matter of where you want to
16 do the work.

17 So, this is, in a sense, a very
18 important recommendation to get information out
19 quickly. The better the format and the more
20 consistent the information, the less processing
21 time that's involved. So, I think maybe that's
22 one of the things that this is capturing, the

1 desire to have fresh information available to
2 people in a rapid manner.

3 But the desire to get to a common data
4 standard is something that also could be a
5 process recommendation. So, it could be that the
6 issue analysis teams, or whatever, push out a
7 requirement for common data because of the topics
8 they want to study. So, it may be that it's not
9 a requirement in certain instances and it is in
10 others.

11 So, maybe what we can do is say
12 something about capture that, that somebody has
13 got to get it into a common dataset --

14 MR. BROWN: Yes.

15 DR. BORENER: -- whether it's the
16 provider of the data or it's the provider's
17 service who does the analysis, but, eventually,
18 it's got to be in that format.

19 MR. BROWN: Understood. And thank
20 you, Sherry, for that clarification. That helps
21 with a lot of it.

22 HON. BURMAN: This is Diane Burman.

1 I do think that we have to balance a
2 lot of this as well. And so, part of the issue
3 is some of this may have to have some clarifying
4 language like we talked about in the beginning,
5 so that it doesn't scare off people or make it
6 too cumbersome for folks to grasp. But we also
7 don't want to lose a lot of the Subcommittee's
8 work, if folks get to this at a later point. So,
9 there may be a way that we're not necessarily
10 recommending all of this, but giving some more
11 overviews, considerations, and somehow
12 referencing some of the background material as
13 helpful processes to look at; and, also,
14 recognizing and being upfront that one of the
15 reasons we're not incorporating it potentially,
16 all of it expressly and explicitly, is because we
17 saw that we, again, potentially were getting too
18 far in the weeds or would cause -- I don't know
19 what the right word is -- but could cause a
20 stoppage on people being able to move forward.
21 Does that make sense?

22 MR. BROWN: Yes.

1 HON. BURMAN: And, Mark?

2 MR. HERETH: So, Bryce, as I sit here
3 and look at this, I think I have a sense of why
4 some of this detail is in here. I think what
5 might be helpful -- and it's probably in the body
6 of text -- it seems as though you're trying to
7 address a series of really important concepts or
8 concerns that might arise in using data. And I'm
9 always wondering if there is a section or a set
10 of points that need to be made.

11 And these are not all of them, but
12 it's we need to have a common set of data that
13 has the parameters that allow to be able to do
14 meaningful analysis that you talk about. Because
15 my sense is you're trying to address questions
16 and concerns here, and it sort of begs the
17 question, when you look at some of these, was it
18 you're trying to address?

19 I feel fortunate in some cases I have
20 a sense of what those are, but, you know, there's
21 a lot of us who are not as close to this as some
22 of you are that work in this space every day.

1 So, I think there's some grounding that we need
2 to have us better understand what is the problem
3 we are trying to solve or what is the issue we're
4 trying to address setting up these
5 recommendations.

6 Because I fully appreciate what it is
7 you're trying to accomplish. I think we need
8 some explanation on the front-end of what it is
9 we're trying to address. Is that a fair -- do
10 you understand what I'm saying?

11 MR. BROWN: Okay. I do, and I do
12 appreciate all the comments received, and we all
13 do in our Subcommittee.

14 There's a bit of work. There's a bit
15 of work to be done already that we can recognize.
16 And actually, Chris is on the phone, Chris
17 Warner. We need to have a better process flow of
18 the comments, or the recommendations, I should
19 say, and making sure that they all kind of run in
20 the right direction and that they feed off of one
21 another, as we have written them. And that's not
22 accomplished just yet, but that is one thing that

1 we need to accomplish.

2 MR. HERETH: And, Bryce --

3 MR. BROWN: We can go back and look at
4 -- yes, sir?

5 MR. HERETH: I would just offer that
6 I'm willing to help --

7 MR. BROWN: Yes.

8 MR. HERETH: -- on some of this,
9 because I'm an instigator of wanting to ensure
10 that we can use unstructured data. So,
11 certainly, I've contributed to that and the
12 challenges that that creates. But I think we
13 need to have that flexibility. But I'm willing
14 to help sort of step back and look at this at a
15 little bit higher level, so that when we look at
16 some of the detailed stuff, we understand the
17 context, what it is we're trying to create.

18 MR. BROWN: Great. That sounds good,
19 Mark.

20 And, of course, we've been working
21 together on this almost two years, I guess.

22 MR. HERETH: Yes.

1 MR. BROWN: And we need to get closer
2 together here in the ones toward the end, but all
3 good. Thank you.

4 MR. HERETH: Thank you.

5 MR. BROWN: Other points or comments?

6 (No response.)

7 So, Recommendation 4-4 states, "The
8 Voluntary Information Sharing system shall be
9 very clear on how and when the de-identification
10 of data occurs, who has access to the identified
11 data, the governance of access rights and
12 confidentiality requirements for access." This
13 is our key point, but, also, the legal and
14 governance. So, we've talked a little bit about
15 that this morning already. But that was the
16 point that we, of course, support, and it needs
17 to get some emphasis.

18 Any comments or questions for this
19 one?

20 HON. BURMAN: Anyone have any comments
21 or questions? On the phone?

22 (No response.)

1 In the audience?

2 (No response.)

3 No, I think you're good.

4 MR. BROWN: Okay. Tech 5, this
5 follows Mark and team. This is where some of
6 those earlier data items come out, this
7 understanding. But Tech 5 talks about, "The
8 Voluntary Information Sharing system shall
9 consider the input from defined In-The-Ditch
10 Standard for field verifications performed on
11 pipe."

12 Tech 5-1 specifically talks about the
13 inclusion of a defined NDE or other assessment
14 standard for the appropriate tools/technologies.
15 Here, actually, you can't read it on the PDF
16 file, but Tech 5-2 talks as well more about the
17 procedure. So, Tech 5-1 talks about assessment
18 standards, which is also procedure.

19 So, in the Subcommittee, we would
20 combine those two anyway, but this is what we're
21 talking about as it relates to, for example, a
22 recommendation for the tools and technologies to

1 be employed for a given threat or anomaly type.
2 That would be as covered in the table below, for
3 example, where it says "external corrosion," that
4 we might consider a depth gauge micrometer or, in
5 fact, laser scanning.

6 We talk about the need for a defined
7 procedure appropriate to that technique and its
8 application to the threat or the anomaly being
9 measured; for example, an external corrosion
10 anomaly.

11 And so, this talks toward that we
12 really need to do some work in some areas of
13 understanding from the industry as foundational
14 to NDE and In-The-Ditch, similar to what we have
15 in ILI.

16 So, Tech 5-1 and Tech 5-2 talk about
17 procedures and, basically, standards that we
18 might need to reach out and leverage.

19 Questions on 5-1 or 5-2?

20 HON. BURMAN: Any questions on the
21 phone?

22 (No response.)

1 In the audience?

2 (No response.)

3 No? Okay, you're good.

4 MR. BROWN: Okay. I'll move on real
5 quick to Tech 5-3. Tech 5-3, a definition for
6 In-The-Ditch and NDE personnel competency.
7 During ongoing discussions in the industry with
8 PRCI and American Petroleum Institute, the
9 American Society for Nondestructive Testing,
10 around looking at NDE methods and techniques
11 related to pipes specifically and some of the
12 anomalies that operators are faced with, we feel
13 this would be also foundational to the VIS and
14 the original mandate, to have that available to
15 be considered, as we take advantage of these
16 datapoints and we share and utilize to start to
17 fill gaps and continuous improvements. So, we
18 feel that the personnel competency, we need to
19 find a way to leverage that as we develop and
20 define in the VIS, what that actually looks like
21 in the future.

22 Questions?

1 HON. BURMAN: Does anyone have any
2 questions or comments?

3 (No response.)

4 Oh, Cliff? Cliff Johnson, do you have
5 a comment?

6 (No response.)

7 No? Okay.

8 So, I do think that we should probably
9 take a break now --

10 MR. BROWN: Okay.

11 HON. BURMAN: -- because I think
12 people are starting to get hungry.

13 We're going to be back right at 1:30.

14 I do think, also, that we should think
15 about how to incorporate a lot of this and maybe
16 boil it down in a way that is helpful. And to
17 our members who are more technically-wonky and
18 would be sort of focused on this, this might be
19 the type of stuff that you share with them in
20 terms of, "Hey, what would this look like? Would
21 there be a problem? What are we missing?"

22 And so, we can also have some of our

1 folks, PHMSA folks, who are also technology-
2 focused also work through it. What would that
3 look like from that perspective as well?

4 So, maybe there is some way of the
5 Subcommittee doing a little bit of homework with
6 that, getting feedback from others.

7 Okay. All right. So, with that,
8 we're going to take a break. We'll start right
9 back up at 1:30.

10 We're supposed to mute the phone line
11 and not turn it off. Okay.

12 Thanks.

13 And if everyone could just off the
14 mics?

15 Okay. We'll come back at 1:30.

16 (Whereupon, the foregoing matter went
17 off the record for lunch at 12:25 p.m. and went
18 back on the record at 1:38 p.m.)

19 HON. BURMAN: Bryce, are you there?

20 MR. BROWN: Yes, I am.

21 HON. BURMAN: Okay. Well, thank you
22 for being able to take a break in the middle.

1 We're now back, I believe up to Tech 6 right now.

2 MR. BROWN: Yes.

3 HON. BURMAN: Thank you.

4 MR. BROWN: Very good.

5 HON. BURMAN: And I think almost
6 everybody that was here this morning is still in
7 the room, just so you know.

8 MR. BROWN: Okay. Very good.

9 So, we'll get started back then?

10 HON. BURMAN: Yes, yes. You're good
11 to go when you're ready.

12 MR. BROWN: Very good.

13 Tech 6. Tech 6 is considering, "The
14 Voluntary Information Sharing system shall
15 consider a set of definitions for comparing one
16 assessment tool/technology versus another,
17 specifically considering the unique measures and
18 uncertainties associated with each." We go on to
19 say, "In addition, the appropriate subject matter
20 experts will be engaged on the use and resulting
21 analysis of these data."

22 This, we again feel compelled to

1 provide ideas to the detail around comparing one
2 ILI, let's say, versus NDE, that we establish
3 common procedures to enable a common
4 understanding, No. 1, and a common utilization of
5 the VIS, understanding what the analysis would
6 show, for example, in my trend. And when we see
7 a trend, we understand where the trend came from,
8 based on an assessment. And then, we can, then,
9 trust in that information and how to use it for
10 continuous improvement.

11 There are some examples out there on
12 this approach. It could be something like the
13 detection limits of a given assessment versus
14 another, how do you assess those in a way that we
15 can understand as close to what's referred to as
16 an apple-to-apple comparison? And there's a few
17 others there. We might also consider interaction
18 of metal on a piece of pipe versus the ILI data.
19 Are we considering on all occasions the same
20 interaction criteria and how we apply that
21 effectively in a systematic way, that we're
22 getting best out of that full dataset?

1 Any questions or comments?

2 HON. BURMAN: Anyone on the phone?

3 (No response.)

4 We do have someone from the audience.

5 MR. BROWN: Sure.

6 MR. STODY: Hi. John Stody from

7 AOPL.

8 I think this is another good example
9 of a good opportunity to have a common set of
10 terms or phrases or reference points. But we'll
11 also have to be careful not to or we would
12 recommend not getting into this group passing
13 judgment on the different tools. Some of the
14 things in this phrase are matters of contention,
15 and good-faith contention. What are the
16 capabilities of ILI tools? How precise are they?
17 And those inform regulatory decisions on what
18 types of actions to take. That's all a healthy
19 debate, but we wouldn't want this group as VIS
20 being an additional group passing judgment one
21 way or another. We would see that as outside the
22 scope of this effort.

1 HON. BURMAN: Thank you.

2 Anyone else?

3 (No response.)

4 Okay. There's no one else.

5 MR. BROWN: Okay. To that point, we
6 do feel that it's not fair to compare one
7 assessment versus another, It can be
8 foundational to the VIS, in order, once again,
9 that we're enabling the ability to look at the
10 continuous improvement, as we again consider the
11 original mandate with the ILI versus the In-The-
12 Ditch measurement.

13 So, again, not to bring so much detail
14 to the recommendation, however, the next step of
15 the next Committee should somehow flesh this out,
16 if you will. So, we can look at -- let's take it
17 from the first half of the session -- we can look
18 at the details, or per se the lack of detail, in
19 the recommendation, but still enabling the same
20 principle, if you will.

21 So, thank you.

22 Moving forward, Recommendation No.

1 7 --

2 HON. BURMAN: Thank you.

3 MR. BROWN: -- "The Voluntary
4 Information Sharing system shall consider methods
5 for evaluating the performance of various
6 integrity assessment methods." The intent here
7 is, again, looking at how do we put information
8 into a VIS related to assessment of so-called
9 performance and/or lack thereof, or gaps in the
10 performance that will come up, what we need to do
11 for continuous improvement. So, the sharing
12 system shall consider these methods can be vetted
13 at the next Committee's efforts to develop those
14 and put those into the VIS.

15 Questions or comments?

16 HON. BURMAN: Any comments on the
17 phone?

18 (No response.)

19 In the audience?

20 (No response.)

21 I think this Subcommittee has gotten
22 the most audience participation.

1 MS. KURILLA: It's because Bryce is
2 challenging us to think about how all this will
3 play out into perpetuity as this VIS lives on.

4 I think what I heard, Bryce, you say
5 -- and I'll ask for a clarification -- is that
6 you really see the VIS developing methods for
7 comparison versus making comparisons?

8 MR. BROWN: So, that's a good point
9 you raise. We thought about this this morning.
10 Shall the VIS Committee and this recommendation
11 ask for definitions or the development of? We
12 had this conversation before, and we got
13 ourselves into a box and we said we're not asking
14 to put forth requirements for development into
15 boxes, but, rather, I guess that's been Erin's,
16 right?

17 MS. KURILLA: Yes, and I apologize.
18 You might have misunderstood me. When I say
19 "VIS," I meant more the program once it's stood
20 up, not this particular working group.

21 So, do you envision those that are
22 working within the program in the future to be

1 actually comparing inspection technologies
2 against each other?

3 MR. BROWN: But that's not the intent
4 -- and I'll let other people chime-in -- but the
5 intent here is, for example, if I think about
6 where I sit at ROSEN, we would understand that
7 data would be shared that comes from our
8 services, and that information would be available
9 to the VIS, to, then, be displayed.
10 Hypothetically, if there's a gap or, say, a trend
11 that is not satisfactory, with that same approach
12 that is agreed upon by the VIS or in that
13 environment, we would enable in our own company
14 to understand our own analyses of the same terms.
15 And with that, we would, then, need to take the
16 necessary actions, for example, for continuous
17 improvement or prospective R&D.

18 So, it's not envisioned that we're
19 comparing one assessment provider versus the next
20 assessment provider, but possibly having the
21 ability to see where we, as an assessment
22 provider, reside in that analysis of data.

1 MS. KURILLA: Yes, thanks, Bryce.
2 That's helpful.

3 I'm going to do a scary thing, which
4 is take like a giant step backwards and say that
5 this has been -- I think this scenario actually
6 illuminates a concern we've all had since the
7 very beginning, which is this idea of what is the
8 goal of the VIS moving forward. Is the goal to
9 bring together data, so that operators can use it
10 in their risk modeling? Is the goal to bring
11 together lessons learned, so that we can learn
12 from each other and not make the same mistake
13 twice? Is the goal to further improve ILI
14 technologies, so that the different vendors and
15 service providers can identify gaps in their own
16 technologies and work to address those gaps?

17 That last one is what I see this
18 doing. And it's not that we can't do all of
19 those. It's just a big "ask" to do all of those.

20 And so, I think we all have different
21 ideas of what we want the VIS to be able to do
22 and to serve as, and I would just ask that we

1 don't accidentally do all of them without
2 consciously doing all of them.

3 MR. STODY: Yes, John Stody from
4 AOPL.

5 Erin, you put it in a good way, and I
6 came up to make a similar point. I'll describe
7 it this way, which is this really gets to the
8 scope of what is it that the VIS will be looking
9 at. You know, we had the FAA metaphor. "Oh, the
10 737 has a crack in its wing, and now we've found
11 a bunch. So, we need to go look at it."

12 So, in a pipeline, though, that might
13 be, "Oh, we had three different incidents with a
14 hook crack in a long seam, and it was brittle
15 pipe from this manufacturer, and the ILI tool
16 missed it. So, why is that and what can we do to
17 improve that?" Or ILI compared to dig data
18 didn't predict the growth of the flaw correctly.
19 You know, what should we do about that? Those
20 are specific case examples. These things happen.

21 And that's at one end of the scope
22 spectrum. This Tech 8 and 7 could be interpreted

1 as the other end of the policy section, which is
2 making broad characterizations about the
3 capabilities of ILI. And we're big fans and
4 proponents of ILI. So, in one sense, that could
5 be a good thing, but I think it's also a question
6 about whether this is the best group for that,
7 and would this be another group making broad
8 policy development, taking broad policy
9 development actions or recommendations versus
10 addressing specific safety scenarios? And it may
11 be all you need is a UT tool like this, instead
12 of an MFL tool like that.

13 So, there will be ILI recommendations.
14 I'm not getting at that. But it's that broad
15 characterization or policymaking of the VIS
16 versus examining discrete safety situations and
17 coming up with a better way to tackle the safety
18 questions presented.

19 HON. BURMAN: Alan?

20 MR. MAYBERRY: Bryce, this is Alan.

21 I appreciate the level of detail.

22 And I keep harkening back to what are

1 we here for. Developing a recommendation, and I
2 think especially as it relates to the Technology
3 and Research Group, I think what I see here --
4 I'm just trying to look at this through various
5 lenses. For instance, say the public lens, which
6 really doesn't understand all this. Coming out
7 of this, we are, hopefully, developing an
8 approach or a recommendation that will address
9 the need to disseminate information that's
10 understandable.

11 But I think, if I were to summarize
12 what I see here, which is really a ton of good
13 data I think that will help us with good
14 implementation, or really just some of the
15 challenges and some of the variations, just the
16 issues you have to deal with, I think the real
17 challenge is going to be, you know, identify the
18 issues here, things we need to look out for. As
19 we go to implement, we just have to be mindful of
20 that.

21 But I think, here again, you're
22 identifying the complexity of it and just what

1 needs to be considered. The real challenge we
2 have of dealing with something very complex is
3 creating a level of transparency that can serve
4 all the audiences. It's really difficult
5 sausage-making, but I think we can get there. I
6 just think that we may need to, as we go forward,
7 dial this -- I mean, this detail is important --
8 I think we may need to maybe put this, say, in
9 another part or in an appendix, and maybe have a
10 higher-level summary that articulates some of
11 these challenges that are included in more detail
12 in an appendix.

13 Appreciate it, Bryce.

14 MR. BROWN: Yes. Thank you.

15 MR. WARNER: Bryce, this is Chris
16 Warner. Can I interject a little bit in response
17 to the last few questions?

18 So, I heard concerns about the ILI, in
19 particular, and how that could be perceived. I
20 just want to make sure we're clear that the
21 intent of some of these items are to get at the
22 continuous improvement or to derive continuous

1 improvement of these tools.

2 And so, to enable the continuous
3 improvement of these tools, we are encouraging
4 the VIS to have the capability for individual
5 tool providers to be able to assess their
6 performance at finding/sizing certain anomalies
7 as compared to other vendors within that same
8 category, and not, as Bryce said, saying, "ROSEN
9 did this and Baker Hughes did this. Therefore,
10 ROSEN is better."

11 But ROSEN, knowing their own results,
12 comparing it to what the industry average is or
13 the top quartile/bottom quartile results are,
14 that, then, gives the operators the motivation to
15 enhance their capability. That was, I think, a
16 lot of the motivation, at least on Michael and my
17 part, for having some of these comparisons in
18 there.

19 And then, the final thing I'll add is
20 we thought that the congressional mandate was
21 asking for continuous improvement and tools. And
22 so, we also wanted to, then, be able to assess

1 how effective are certain tools that identify
2 different kinds of feedbacks. And we may come to
3 the conclusion that EPA is not effective in these
4 conditions or ILI; ILI is not effective in this
5 kind of coating or these kind of pipes. But I
6 think that's an important result of the VIS and
7 that it starts to get at that kind of data
8 overall.

9 Thank you.

10 MR. BROWN: Thanks, Chris.

11 HON. BURMAN: Does anyone else have
12 any more comments or questions?

13 MR. CROCHET: Actually, yes.

14 HON. BURMAN: Okay. Great.

15 MR. CROCHET: Just from an operator's
16 perspective, I think there's more value in
17 concentrating on ILI as the assessment method,
18 rather than hydrostatic tests or any sort of
19 direct assessment vehicle, because I think we
20 already know the limits of hydro tests and direct
21 assessment. And you get the most bang for the
22 buck, I think, in sharing information if we limit

1 it to in-line inspection. That's all.

2 This is Bill from Plains. Sorry.

3 HON. BURMAN: Thank you for that.

4 Anyone else? On the phone?

5 (No response.)

6 In the audience?

7 (No response.)

8 Okay. Thank you.

9 MR. BROWN: Okay. Recommendation No.

10 8, "The Voluntary Information Sharing system
11 shall consider a method, process, or system to
12 provide communication (of the gaps
13 identified/perspective improvements to be made)
14 to the associated industry stakeholders."

15 This is exactly how it reads, and it
16 is a reproduction of Process Sharing, its
17 Recommendation No. 10. So, that is probably one
18 that we consider that together with Mark to make
19 sure that we're on the same page and/or we can
20 eliminate this one, or vice versa.

21 So, as a repeat of Process Sharing
22 Recommendation No. 10, once again, if we think

1 about architecture IT, there's a portion of that,
2 which we'll come back to shortly, that would
3 enable this idea of information to be shared, who
4 does it go to, how does it get there, things that
5 need to be considered in the working VIS
6 environment.

7 Questions or Comments?

8 HON. BURMAN: Any comments on the
9 phone?

10 (No response.)

11 In the audience?

12 (No response.)

13 No.

14 MR. BROWN: One additional item there
15 was the addition of the idea of a users group and
16 creating a team. Chris Warner talked about a
17 users group. And that users group would be made
18 up of industry stakeholders, as others described
19 previously this morning. And maybe that's
20 something that we could consider -- is that part
21 of the issues team that's already been described?
22 But, nevertheless, this community of practice,

1 how do the relevant stakeholders in that
2 community of practice, how do they get together
3 and make sure that we're on the right track with
4 some of the learnings out of the ILIs?

5 Okay. Moving forward, Recommendation
6 No. 9, "The Voluntary Information Sharing system
7 shall be designed to allow for the expansion of
8 the VISS to accommodate integrity assessment
9 technologies other than ILI." I think that's
10 what we've just heard, but we should stay focused
11 on ILI at the end.

12 However, going back to early
13 discussions and meetings, we talked about the
14 focus of the mandate on ILI and how we also
15 consider other assessment methods, other
16 information to be exchanged where we can garner
17 lessons learned.

18 This is in that direction to look at
19 other than ILI, and it lists a few of the items
20 that might be considered and on the breadth of
21 data that is shared, or could be shared. But the
22 idea here is to design a VIS in an open

1 architectural approach to enable this sharing of
2 additional information. As we get our feet under
3 us with that ILI data, we might, then, consider
4 in the future this avenue just as well.

5 Questions and comments to
6 Recommendation No. 9?

7 HON. BURMAN: Any questions or
8 comments?

9 Mark?

10 MR. HERETH: Bryce, this is Mark
11 Hereth from Blacksmith.

12 So, No. 9 is really extending VIS
13 beyond ILI to other technologies? Is that its
14 content?

15 MR. BROWN: Well, I don't know if it's
16 exactly the same -- it should be designed to
17 accommodate. And we've had those kinds of
18 questions in our main Committee meetings in the
19 past around an open architecture with a focus
20 that gives us the ability to pick up on the low-
21 hanging fruit, for example. And then, from
22 there, as we evolve into it with more volunteers,

1 more positive feedback, let's say, that we expect
2 to get from this utilization, we might enable
3 some additional sharing, I guess maybe similar to
4 the aviation industry where they started on one
5 leg and they ended up on two, and so forth, in
6 the over 45 years, to where they are today. The
7 same idea here, that we would consider the open
8 architecture in a way that we could bring in
9 other datapoints that help us as an industry,
10 again, to the idea of continuous improvement and
11 on lessons learned.

12 MR. HERETH: Okay. Thank you.

13 And can I ask a question also? You've
14 raised the idea of user groups or a user group
15 back in Tech 8.

16 MR. BROWN: That's right.

17 MR. HERETH: Is that something you're
18 going to flesh out more? What's your thinking
19 there? It sounds like that was more recent
20 thinking?

21 MR. BROWN: It is recent thinking.

22 And I want to bring it there because maybe it

1 opens up the discussion, together with what we
2 refer to as an issues team under the governance
3 side. And a users group for me is more
4 fundamental around day-by-day where we see what
5 the trends look like versus an issues team under
6 governance.

7 But we thought it useful to think
8 about a users group, and having had the ability
9 to look at the analysis coming out of VIS, and
10 start to understand what do we envision with that
11 information, and how do we, as an industry of
12 stakeholders, collaborate towards the end of
13 continuous improvement? And then, feeding, for
14 example, on the phone with PRCI and looking at a
15 gap that appears as an information gap or a gap
16 in information that we received in the VIS. How
17 do we turn that into private simulation over at
18 the TDC? That's one example. That would be the
19 intent of the users group.

20 MR. HERETH: Okay. Yes, I think that
21 just warrants more discussion. I mean, we have
22 used users groups, right? We had a user group on

1 a couple of different timeframes for ENet
2 technology, for example. So, I can certainly see
3 the value in it. I think we just need to have
4 more discussion about it. It's good.

5 MR. BROWN: Yes.

6 MR. HERETH: I also commend you for
7 including universities in your Tech 8. I don't
8 know that we've talked about that a whole lot
9 historically in our meetings, but I think that's
10 a good add.

11 MR. BROWN: Yes. We know we have a
12 couple of reputable universities represented on
13 our RVI Committee, so we had better include them.

14 MR. HERETH: Yes, yes. Absolutely.

15 MR. BROWN: Very good. Any other
16 questions on Tech No. 9?

17 HON. BURMAN: Any comments or
18 questions?

19 (No response.)

20 No, I think we're good.

21 MR. BROWN: Okay. So, move over to
22 Tech 10. "Establish a process and training for

1 personnel to manage the quality of data submitted
2 to a VIS." We've talked around this a little
3 bit, and the governance or architecture IT,
4 listening to SA, together with the third-party
5 provider, that they have specific personnel to
6 look at and understand, No. 1, data science and
7 data analytics.

8 And we talked that around. Do we need
9 to consider this in the different stakeholder
10 shops? Do we have about personnel that are
11 trained and educated, No. 1, around what does it
12 mean to participate in the VIS at your company
13 level? And then, the other one is maybe specific
14 to it. It says I want to share this data up to
15 the VIS. What else do we need to consider in
16 that regard?

17 I've said a lot there that's maybe not
18 said exactly in this recommendation, but that's
19 the intent.

20 HON. BURMAN: Does anybody -- Mark,
21 your tent card is up.

22 MR. HERETH: Oh, I'm sorry.

1 HON. BURMAN: Does anybody have any
2 comments or questions on the phone?

3 (No response.)

4 In the audience?

5 Christie does. But, before she does,
6 I just want to make a comment about Tech 10. A
7 lot of it, to me, seems like it's more broader
8 than this Subcommittee. It goes more towards
9 somewhat of the governance and layout that might
10 be established, and to look at it from the
11 perspective of understanding that it would be
12 really important to have quality people involved.
13 But who they report to, who, ultimately, weighs-
14 in in the quality of the data, but also ensuring
15 the confidentiality and the other aspects, and
16 that goes more towards, if I remember from the
17 Governance Subcommittee report, looking at some
18 of the issues analysis team as well. So, it may
19 get folded in somewhat broader in the governance
20 aspect of it.

21 And I think there were a couple of
22 tech points, I think maybe 5 and 6 as well, but I

1 would have to go back to look, that also might be
2 able to be a little bit more broad outside of
3 this particular piece. But remember that we're
4 not necessarily drilling down on every aspect.
5 It's more of the key takeaways and the actual
6 program, and the deliverabilities that would come
7 from that will have to get fleshed out a little
8 bit more. So, something that's food for thought.

9 Christie, do you have a comment?

10 DR. MURRAY: Sure. My comment is more
11 around the first sentence where you're
12 establishing the process and training for
13 personnel to manage the quality of data.

14 MR. BROWN: Right.

15 DR. MURRAY: So, my question is, I
16 think about quality, and then, I'm thinking about
17 it from the analysis standpoint, and maybe
18 they're distinctly different. And maybe the
19 analysis doesn't belong here. But I think when
20 it comes to the technical aspects of ILI, et
21 cetera, it's the quality, but it's also the
22 analysis of what you're looking at, and how do

1 you know what you're looking at.

2 So, I guess my comment or question is,
3 should this be inclusive of analysis, you know,
4 getting training around the analysis of what's
5 being looked at, in addition to quality?

6 MR. BROWN: If I understood, it's a
7 valid point. Some of the things that I think
8 about is exactly the handshake between the
9 service provider and the operator. You know, we
10 have the results we've just sent over. They've
11 gone out. If we enable in a better way 1163 and
12 some of the key components of it, talking about
13 sharing field results, how do we work together
14 collaboratively in those results in a way that
15 most of what we talk about here in the
16 Subcommittee today would have already been
17 vetted, because it does take place to a certain
18 extent already in our relationships?

19 But exactly have that handshake
20 between that ILI result and the In-The-Ditch
21 result. And once we've done that in our
22 relationship, then it is handed over,

1 hypothetically, in the operator's shop, because
2 the operator is going to share the data to the
3 VIS, maybe to a person that has a bit more
4 accountability to that commission.

5 And so, I see both aspects. I see one
6 is, how do we ensure that the data and
7 information that we're sharing has been vetted
8 and we all handshake on it, if you will? Then,
9 the next thing is making sure it gets through the
10 right channels to get to the VIS. And
11 then, possibly, there's the contact point back to
12 the stakeholder's shop that answers any calls.
13 "Hey, we received the information in the VIS, and
14 now, we have a question about it. Can you help
15 us answer it?"

16 HON. BURMAN: Okay. Thank you.

17 MR. BROWN: Yes, ma'am.

18 Okay. Recommendation No. 11, "Data
19 needs to remain anonymous, but it is just as
20 important for operators and service providers to
21 have access to their performance." We just spoke
22 about this a little bit more at length. And

1 Chris brought up this, the fact or the idea that
2 the service provider could review their own
3 performance against others that are represented
4 in the VIS, to understand where their performance
5 might exist. Here, the example was given of top
6 quartile, and then, so forth.

7 But this is one area that we felt
8 would give an ability throughout the assessment
9 providers to understand our performance against
10 the whole group of results, and then, we might,
11 then, undertake our own continuous improvement
12 and so forth.

13 Questions? Comments?

14 HON. BURMAN: Anyone on the phone?

15 (No response.)

16 In the audience?

17 (No response.)

18 No, you're good.

19 MR. BROWN: Okay. Tech 12, "Create
20 ``Users Group'' to identify gaps in technologies'
21 effectiveness or ability to identify known
22 threats." We just talked about this as well.

1 Mark pointed out that we probably need to
2 consider this and think about it, and think it
3 through. As well, how does it fit already into
4 existing recommendations that are in there, maybe
5 ID issues team? But it is one that we feel
6 passionate about and about where we all come
7 from. And the devil's in the detail. That is
8 just a users group that has a little bit more
9 stakes in the process of success in the VIS.
10 They're working together closely.

11 Any more questions or comments on a
12 user group?

13 HON. BURMAN: Max?

14 MR. KIEBA: Yes, Max Kieba, PHMSA.

15 There we go. Max Kieba, PHMSA.

16 Yes, I had a question on the users
17 group. I appreciate you mentioning it would be
18 looked at with the issues analysis team. I guess
19 my question was, would the users group be within
20 the hub or outside the hub, once info sharing
21 leaves the hub?

22 MR. BROWN: The way it's written, Max,

1 is that it's VIS users, and I'll let somebody
2 else chime-in from the Subcommittee, if they
3 like. But, again, envisioned as a group of
4 stakeholders that are associated with that type
5 of data that's being shared to the VIS.

6 Anybody else who like to add a comment
7 to that?

8 MR. WARNER: This is Chris Warner.

9 Max, I don't know if you would
10 consider it in the hub or outside the hub, but we
11 felt that this user group would be part of the
12 governance of the VIS as a whole. So, they would
13 exist within the oversight of the VIS group as a
14 whole.

15 MR. KIEBA: Okay, that helps, because,
16 yes, a big key of any kind of information system,
17 voluntary, whatever, is providing it into a
18 certain context. So, I think it's least good if
19 they're within the hub because, if you only give
20 a certain piece of information to another group
21 and if it's taken out of context, that's where it
22 could get interesting.

1 So, okay. Thank you.

2 MR. WARNER: Yes, that was our thought
3 as well, is it would be underneath that whole
4 umbrella or in that hub, so that that could be
5 considered in any access of more data that others
6 may not see externally.

7 MR. KIEBA: And then, I assume, once
8 it leaves the hub, anyone can do whatever they
9 want with it, as long as -- you know, whatever is
10 decided to leave the hub and public, and whatnot.

11 Okay. Thank you.

12 HON. BURMAN: This is Diane Burman.

13 I just want to sort of take a moment
14 here. I know that a couple of these -- and it's
15 a little bit going backwards on Tech 11 and
16 others, and it gets to, also, the process sharing
17 and the lessons learned where we had identified
18 folks that needed certain information.

19 I just want us to be comfortable and
20 thoughtful in what our ultimate goal is,
21 especially because part of the sharing is about
22 the confidentiality and making sure that the

1 information isn't going to be able to be detailed
2 and identifiable enough even for those within a
3 particular company, so that it generates the
4 ability for people to communicate and comfortably
5 share. So that the goal of helping to achieve
6 better understanding for pipeline safety is
7 critical.

8 But, if somehow we're going to also be
9 looking at identifying someone's particular
10 information, even if it seems like a good idea --
11 you should know how you're performing; you should
12 know how you stack up compared to others -- it
13 may actually have a negative end result where
14 it's information sharing for potential punishment
15 or not, and information sharing that doesn't
16 necessarily lead to the group as a whole
17 improving their performance.

18 So, we need to be very mindful of that
19 because I am concerned that that may wind up
20 tripping us up from the ultimate goals. When we
21 are looking at this, we should be identifying the
22 ultimate goal of information sharing in a way

1 that enables better and continued communication
2 and processes, rather than just doing it to say,
3 "I'm good," "I'm not good," or who in our group
4 is now going to have to have issues, because it
5 may chill the actual ultimate goal.

6 So, I would just throw that out there
7 because I can also, then, see people saying,
8 "Well, you have the information on that. Now you
9 have to share it with the larger," you know, the
10 state regulator, or whoever it might be. And I
11 think we should just be cognizant of that.

12 That's why part of these processes was
13 about inputting the information in a way that was
14 not going to be able to be retrieved, though it
15 doesn't mean that the lessons learned more
16 globally, and more specifically, to prevent
17 another incident, isn't ultimately what's going
18 to be shared. But the actual identifiable
19 information should not be.

20 MR. WARNER: Thank you.

21 MR. BROWN: So, let's move to
22 Recommendation 13. "Define and publish key

1 metrics that measure the effectiveness of the
2 VIS." We talked about, in order to build
3 participation and strength and the trust, metrics
4 need to be established to evaluate the
5 performance of the VIS program.

6 Some of the possible metrics might
7 include: knowing the overall size of the
8 database; number of inspections that were
9 submitted or assessments; number and variety of
10 operators and service providers participating;
11 number of lessons learned shared through the VIS;
12 size of operators participating, et cetera.

13 It does make sense to bring out of an
14 effort like this just some key metrics. And that
15 is something that we felt like we wanted to put
16 here as a recommendation: think about
17 architecture IT, and from an old architecture,
18 what I refer to as a database, because you can
19 pull down certain information that tells you more
20 about the complexity of your database per se.

21 So, that's Recommendation No. 13. Any
22 questions or comments?

1 HON. BURMAN: Any comments? On the
2 phone?

3 (No response.)

4 In the room?

5 (No response.)

6 No, there isn't.

7 MR. BROWN: Very good.

8 Recommendation 14 through 20 are very
9 focused on the architecture IT.

10 I know Jason Cradit and Mark Zuniga
11 are on the phone with us. As I read through
12 these, if you have questions, then I would ask
13 those two gentlemen to speak up as needed.

14 So, Recommendation No. 14 says that,
15 "The VIS hub will be an entirely cloud-based
16 system."

17 So, let me stop. One thing I need to
18 make sure we understand is these seven
19 recommendations are further elaborated in the
20 last 5 to 10 days. And my point in the
21 introduction is that we're continuing to refine
22 some things. And based on today's great

1 discussion and great feedback, we'll continue to
2 do so. But I must say that these gentlemen here
3 have put in a lot of effort over these, and they,
4 more recently, in the last 10 days put together
5 some more text and context to these
6 recommendations.

7 So, Recommendation No. 14, once again,
8 "The VIS hub will be an entirely cloud-based
9 system."

10 Questions or comments?

11 HON. BURMAN: Mark?

12 MR. HERETH: Can I defer to the
13 distinguished representative of the AOPL, because
14 he may be wanting to make this comment and he may
15 make it more eloquently?

16 MR. STODY: It's John Stody with the
17 AOPL.

18 And I do know what a cloud-based
19 system is, but I have no idea what many of these
20 other things are. And because of my appreciation
21 for ROSEN specifically and the members on this
22 team, I figure they must be important and will be

1 essential to the future data management
2 activities. But it makes me wonder if these are
3 the types of things that are within the scope of
4 this kind of organizational report or it might be
5 better left to the execution phase, all of the
6 different -- from the policy, from the issue
7 analysis to the day-to-day management, to the
8 Board, we'll have executing documents; we'll have
9 implementing documents.

10 But these types of things might be
11 more for the experts who take on these functions
12 and need to implement them after this program is
13 up and running, and we may not need to decide
14 whether FIPS 199 is the best approach or not
15 today or next month. That might be more
16 something that's an implementing action and
17 doesn't need to be defined for purposes of this
18 report, due to the Secretary in December.

19 MR. BROWN: Bryce here again.

20 Thank you for the comment, John.

21 HON. BURMAN: And I think Mark still
22 is going to flesh that out --

1 MR. BROWN: Oh, sorry.

2 HON. BURMAN: -- because John didn't
3 do a good enough job.

4 (Laughter.)

5 MR. HERETH: No, no, John, as always,
6 did a great job.

7 I agree with John's comment. So, I'm
8 wondering if there is a way to capture what you
9 all have done and how, and what you've come to,
10 without prescribing fixed outcomes, which is
11 essentially what you have done in 14 and 15.

12 And I'll have to admit that I like
13 those, but I don't know that a year from now we
14 might be in a different place. And so, I'm
15 wondering if there is a way to talk about in our
16 recommendations that these are important things
17 to consider -- you know, where the data is
18 housed, how it's managed -- and then, to use in
19 the text these as examples of what can be used
20 and why. I think that's one of the things I take
21 away from today, is we need a lot of "why" on
22 some of this stuff, so that everybody has the

1 context.

2 But I'm just wondering, Bryce, if --
3 so, there is a way to retain the value of what
4 you guys have really done here, because there is
5 great value, but make it less prescriptive and
6 more about these are the things that we need to
7 consider when we're standing up this VIS hub.
8 And these would be examples of it that could be
9 provided in the body of the report.

10 MR. BROWN: Sure. That's a good
11 point. Good point, Mark. Thank you.

12 And just as a precursor, I know that's
13 how -- I know that we've listened to some of the
14 other models that are out there. And some of the
15 things that Jason and Mark have thought through
16 is going to be something that can be elaborated
17 in the future or built in the future.

18 But I'll let Jason or Mark speak to
19 the exact point, to those points. Mark? Jason?

20 MR. CRADIT: Yes, this is Jason.

21 I appreciate the feedback. I think
22 what I would say is that we don't necessarily --

1 I do disagree, Mark -- or I don't know who the
2 other gentleman was; I'm sorry. But we also saw
3 this as very prescriptive and, also, very
4 direct, right? I think Cliff from PRCI had told
5 to me similar comments as we vetted this through
6 the Subcommittee, that we needed to focus more on
7 the "why". You know, why? Why do we care so
8 much about 14 being a cloud-based system?

9 I agree. I really appreciate the
10 feedback on all of these. Yes, I wouldn't push
11 back at all. I think we do need to refine the
12 benefits better, and really, I agree with what
13 Bryce said. We have more context behind these in
14 the last, yes, couple of weeks. And we can share
15 that as well. But it's a good question, and we
16 struggled with how much we could or should be
17 that prescriptive. And we're technical people.
18 So, I mean, that's how we think. But I
19 appreciate the feedback, and I think we can
20 refine it.

21 Mark?

22 HON. BURMAN: Mark?

1 MR. ZUNIGA: This is Mark.

2 No, I totally understand and hear the
3 feedback, and we can certainly provide some of
4 the reasoning. And then, I can assign
5 recommendations, that these are things that
6 should be considered and here are some options,
7 that at the time this was formulated these are
8 current technologies that would be applicable to
9 a system like this.

10 MR. HERETH: Just one -- this is Mark
11 Hereth from Blacksmith -- just one final point to
12 reinforce all of this is that, the meeting where
13 you guys presented that diagram or depiction of
14 how this could work had so much of an impact on a
15 lot of us. I wouldn't want that to be lost in
16 people looking at this prescriptiveness and not
17 seeing the value of that.

18 So, I think, again, it really is about
19 what are the important considerations, I think,
20 that we want to be taking into account when we
21 stand up this from a technology standpoint. And
22 then, your words and the depiction become a means

1 of supporting that. Does that make sense? Or am
2 I simplifying it too much?

3 MR. CRADIT: Yes. Yes. No, I believe
4 it does, Mark, and I appreciate your feedback.

5 MR. ZUNIGA: Thank you.

6 MR. CRADIT: That's exactly what we
7 were trying to accomplish, but the whole idea of
8 making a, quote/unquote, "recommendation" led us
9 down a very specific path, right?

10 So, I appreciate your input, and we
11 can work through it like that.

12 MR. BUCHANAN: This is Bob Buchanan
13 here. I just have one comment.

14 Since these are recommendations, and
15 I hate to wordsmith, but wouldn't it be in the
16 recommendation is that the VIS ought to be cloud-
17 based? Rather than just being prescriptive on
18 that?

19 HON. BURMAN: So, this is Diane
20 Burman.

21 One of the things that I think I'm
22 hearing, at least with this Subcommittee, which

1 is a little different from some of the other
2 subcommittees, is that some of it, as a clear
3 recommendation for the Committee, the parent
4 Committee to, then, vote on, may be
5 inappropriate.

6 And also, one of the things that I'm
7 sort of focused on is looking at it from sort of
8 higher-level key takeaway, and then, what would
9 be necessary for the statutory authority, but
10 also where the flexibility would be, as well as
11 how much to tee up in a way that can be done, for
12 when we get into more of the implementation phase
13 of it.

14 And some of my sort of concern is
15 that, also, for each of these, there would be a
16 lot of, if it was something that was, then, going
17 to be teed up for a recommendation, for the
18 report and, then, for more pipeline
19 reauthorization legislation, people would get
20 caught, I think, in a focus of needing a
21 drilldown of all of it or a really like they have
22 to put it in the actual legislation as a "must".

1 So, even something like Tech 14 on the
2 VIS hub will be an entirely cloud-based system,
3 that will produce not only a lot of people coming
4 out of the woodwork to push their specific
5 products, but it will also produce a lot of angst
6 around what that means and what that looks like,
7 that doesn't get to the core heart of the
8 ultimate goals of the VIS enabling legislation,
9 and then, things that come to it.

10 So, for me, all of these things are
11 important to recognize, not necessarily as
12 recommendations, but as things that we thought
13 about, things that need to be considered; and
14 that, when we get to the technology and data
15 provider issues, we must clearly identify those
16 experts who can bring this information and make
17 it very secure, very technology and innovative
18 product, and then, look towards the right
19 leadership framework to help define what that is.

20 So, I do see these things not as a
21 wasted exercise, but as important to make sure
22 that we capture in a way that doesn't sort of

1 take away from everyone looking at the rest of
2 the document, and thinking it's all about, you
3 know, what data technology provider is going to
4 be owning this. And that's a concern for where I
5 sit.

6 And also, to the extent that some of
7 these things, while they relate to other
8 rulemakings and other things, what we may be able
9 to do is sort of take a look and say, in a larger
10 context, what particular rules or rulemakings
11 need to be established that will complement the
12 VIS. And so, that may be something that we put
13 not as us saying what the rulemaking should be,
14 or the particular regulation, but, rather, more
15 of these things need to be complemented and
16 aligned and resolved as we move forward.

17 So, to the extent that this doesn't
18 sit in a silo, but we also are identifying other
19 things that PHMSA and others are looking at, that
20 will be helpful for consideration, I think is
21 important. If that makes any sense, I don't
22 know, but it's my thoughts.

1 Does anyone else have any other
2 comments or concerns?

3 (No response.)

4 Okay.

5 MR. BROWN: Madam Chairman, thank you.
6 Thank you for that description and support. That
7 does make sense. Thank you.

8 HON. BURMAN: Okay. Thanks.

9 MR. BROWN: We've got just a few more
10 to go through, if we might.

11 HON. BURMAN: Yes, it's helpful.

12 MR. BROWN: So, Recommendation No. 15
13 is, "The VIS hub will consist of a data warehouse
14 containing relational and non-relational data
15 with multiple data marts for data integration and
16 case-driven analysis."

17 Questions or comments?

18 HON. BURMAN: Anyone have any
19 comments? Concerns? Questions?

20 On the phone?

21 (No response.)

22 In the audience?

1 There may be in a minute.

2 (Pause.)

3 No, we can continue. Okay, we can
4 continue.

5 MR. BROWN: Oh, okay. Very good.

6 Recommendation No. 16, "The governance
7 committee will be the sole responsible party to
8 define the authorized access of data in the data
9 mart."

10 This may cross over as well with
11 Governance, of course. But, as it relates to the
12 software and the architecture, it would have to
13 be driven into this environment and accessible.

14 Any comments or questions?

15 (No response.)

16 Recommendation No. 17, "The VIS hub
17 will be protected following the NIST 800-53
18 standard."

19 Jason, I believe this deals with,
20 again, de-identification of data?

21 MR. CRADIT: Correct, Bryce. But I
22 think it would follow a similar conversation to

1 14's, in that it's very prescriptive. And while
2 it's worthwhile to include a recommendation of
3 how we can secure the data, I think it needs
4 refinement.

5 MR. BROWN: Okay.

6 MR. CRADIT: Yes, yes.

7 MR. BROWN: Any other comments or
8 questions?

9 HON. BURMAN: It appears none.

10 Anyone on the phone?

11 (No response.)

12 MR. BROWN: Recommendation No. 18,
13 "The VIS hub will utilize a role-based access
14 control mechanism to control dissemination from
15 data marts. The third-party data manager would
16 have full access to the data warehouse."

17 Comments? Questions?

18 HON. BURMAN: No questions on the
19 phone.

20 I think we can go forward looking at
21 these --

22 MR. BROWN: Okay.

1 HON. BURMAN: -- and then, see if
2 anyone has any comments.

3 MR. BROWN: Yes, ma'am.

4 HON. BURMAN: If you want to go to the
5 next one?

6 MR. BROWN: Yes. No. 19, "The
7 qualitative data should be qualified with domain-
8 validated values and ingested via a standard web
9 portal or through JSON or XML formatted document
10 submissions."

11 The last one is Recommendation 20.
12 "The quantitative datasets should be normalized
13 using automated routines before injection into a
14 data warehouse."

15 HON. BURMAN: Okay. Does anybody have
16 any comments or questions?

17 I know we talked a lot on this. I
18 don't where people's comfort level is in terms of
19 some of the feedback that we gave. For those who
20 may have a different perspective or want to think
21 about it a little bit, I do encourage folks to
22 reach back out to the Subcommittee, as well as

1 the other Subcommittee Chairs who will be looking
2 at this. And the Subcommittee Chairs can also
3 talk among themselves to kind of flesh out how
4 this dovetails into their specific issues,
5 especially it goes towards sort of the governance
6 and overarching objectives, I think, and mission
7 sharing and process sharing. I think it's
8 important to kind of look at all of that.

9 MR. BROWN: Yes, ma'am.

10 HON. BURMAN: So, thank you.

11 MR. BROWN: Thank you. Thank you for
12 your time. We, as a Subcommittee, really
13 appreciate all the valuable feedback we received
14 today. I guess it's probably the longest we've
15 spoken about our efforts in one setting. So, we
16 really appreciate that.

17 And, Chairman Burman and Dr. Murray,
18 we'll be reaching out to our Subcommittee
19 together with Best Practice and Eric as well as
20 Process Sharing and Mark.

21 We appreciate it. Thank you.

22 HON. BURMAN: Thank you.

1 And I think, also, just from my own
2 perspective, one of the most important things is
3 ensuring that we have the right people involved
4 in the data and the technologies, and that not
5 being static in that. So, to the extent that I
6 personally appreciate all of the time in this,
7 and also know that this will be continuing dialog
8 as we go forward, don't throw away your draft
9 notes because we'll be looking at it.

10 MR. BROWN: Right. Thank you.

11 HON. BURMAN: Thanks.

12 All right. Next, we're going to go,
13 unless anyone has any -- oh, sorry. Next?

14 MR. KIEBA: Just a point of
15 information. I think there's a Tech 21.

16 HON. BURMAN: Oh.

17 MR. KIEBA: I just wanted to make
18 sure.

19 HON. BURMAN: Thank you.

20 MR. BROWN: Tech 21, real quick, "All
21 data types should be categorized using the FIPS
22 199 framework to ensure confidentiality,

1 integrity and availability."

2 Once again, I think we are on the same
3 page with what we need to do with some of these
4 recommendations across all 21 of them. And we do
5 have, as I've said, over the last 5 to 10 days,
6 we've had a lot more input that is not in this
7 version of our recommendations today that will
8 definitely be there prior to our next meeting.

9 HON. BURMAN: Thank you for pointing
10 out that Tech 21, Max. I think is probably the
11 most important, if we revised it. In my mind,
12 it's about all data utilized and categorized in
13 the framework to ensure confidentiality,
14 integrity, and availability as appropriate.

15 So, just in terms of looking at that
16 in terms of the bigger picture and how it fits
17 into the information sharing objectives, I think
18 is key.

19 All right. Thank you.

20 And unless you have any objection, we
21 will now move to Best Practices, if we are joined
22 by Eric, I believe. Is that who will --

1 Or we can move, if Eric is not
2 available at the moment, we can move to
3 Competency, Awareness, and Training.

4 Sorry, they're all moving around.

5 MR. JENSEN: Yes, this is Leif Jensen.

6 I did tell Max and Eric earlier via an
7 email that, if Eric was not able to attend, that
8 I would do my best to lead the conversation on
9 Best Practices. I know Eric was involved in
10 several meetings today and couldn't attend, but
11 he did say he might be able to join later. So,
12 if it's all right with the Committee, I will
13 proceed with the Competency, Awareness, and
14 Training recommendations. And if Eric doesn't
15 join the call, then I can certainly go and do the
16 Best Practices as well.

17 HON. BURMAN: That sounds perfect.

18 Thank you very much, Leif.

19 MR. JENSEN: Okay. On the Competency,
20 Awareness, and Training Subcommittee, there are
21 actually nine recommendations. The ninth one was
22 really geared towards funding. So, it overlaps

1 with the RFL Subcommittee.

2 But there is fundamentally eight
3 recommendations that are kind of organized by the
4 title of the Subcommittee. There's three of
5 them, and then, one related to awareness, and the
6 fourth one -- there's just four -- targeted
7 towards training.

8 The first recommendation is that job
9 descriptions actually be offered that define the
10 education, knowledge, skills, ability, and
11 experience necessary for those working with the
12 confidential data. And ultimately, just the job
13 descriptions will foster hiring criteria for the
14 third-party data administrator. This is very
15 similar, I think, to the Tech 12 recommendation.

16 Any questions?

17 HON. BURMAN: Any comments or
18 questions? On the phone?

19 (No response.)

20 In the audience?

21 (No response.)

22 Not at the moment.

1 MR. JENSEN: Okay. The second
2 recommendation is that a process be established
3 to pair VIS analytical staff with the pipeline
4 operator or other industry subject matter
5 experts, which would include people from the ILI
6 companies and those companies that perform NDE
7 Inside-the-Ditch.

8 The intent here is to create
9 meaningful reports and metrics, such that the
10 stakeholders who receive content will have
11 meaningful content which to utilize. I see this
12 as a direct correlation with the issues analysis
13 team, so that they can pair up with the key
14 stakeholders that understand the vernacular and
15 terminology that's used within the industry.

16 HON. BURMAN: Anyone --

17 MR. JENSEN: The third recommendation
18 is that an evaluation process be developed for
19 employees working within the hub or within the
20 VIS to ensure they protect the security data and
21 preserve anonymity and confidentiality.

22 One of the key things here is that

1 participants who voluntarily participate in the
2 VIS will want to know how those who see the
3 identified data will be accountable for their
4 confidentiality. So, we use the evaluation
5 process, so that it doesn't get overlapped with a
6 certification process. And ultimately, we
7 believe that an Executive Board or third-party
8 administrator will have to mutually agree with
9 how to go about performing that evaluation.

10 HON. BURMAN: Does anybody have any
11 comments or questions? On the phone?

12 (No response.)

13 In the audience?

14 (No response.)

15 There doesn't appear to be.

16 MR. JENSEN: Okay. The fourth
17 recommendation is really in the awareness
18 umbrella, and it's rather lengthy relative to the
19 others. So, I'm not going to read through it
20 verbatim.

21 But, essentially, it's based on the
22 tenets of trust and leadership from those of us

1 who are leading the VIS. We need to motivate
2 others. And someone earlier said, we want them
3 to be welcoming and we want people to be
4 incented, so to speak, to actually want to
5 participate.

6 So, the next section talks about all
7 the stakeholders that are actually identified in
8 the statute and the mechanism or method by which,
9 when they get used, to put talking points out to
10 their constituencies, to woo them into the VIS.

11 And then, the next section talks
12 about, specifically, what are some of the
13 benefits that the stakeholders can gain. I will
14 leave it to the Committee to kind of read through
15 those. We've talked about them at previous
16 meetings.

17 And then, ultimately -- and I know
18 this is redundant with respect to what's in some
19 of the other committees -- in the middle of page
20 32, where it starts with "In the process of
21 developing 'awareness' materials, seek
22 opportunities to" leverage all the other

1 institutions and industries that we've heard
2 from, as well as the recommended Practice 1163,
3 the Common Ground Alliance.

4 And then, oh, ultimately, author a
5 Frequently Asked Questions document that
6 describes the barriers, so that those who are
7 considering to join the VIS will understand how
8 we've overcome those barriers.

9 So, those really, I think,
10 characterize the awareness piece of this
11 Subcommittee's work.

12 HON. BURMAN: Thank you.

13 Does anybody have any comments or
14 questions so far?

15 (No response.)

16 Okay.

17 MR. JENSEN: The next set of
18 recommendations are really around training, with
19 No. 5, developing initial training for the
20 various audiences that need to be trained,
21 whether they're ILI companies, In-The-Ditch
22 companies, operators, efficacy groups, and so

1 forth.

2 The intent here is to train people
3 what the process is. So, ultimately, those who
4 are submitting data, those who actually work
5 within the hub, whether it's the IAT or those
6 that support the IAT, and those, ultimately, who
7 receive the output from the VIS, have to
8 understand what the whole program is. So, that's
9 the intent of this recommendation.

10 The methods by which we train could be
11 in-person, computer-based training modules, or a
12 train-the-trainer-type program. And some of the
13 basis for this, the train-the-trainer, is that if
14 we have individuals at various operators or
15 various in-line inspection vendors, there may be
16 one or two point persons within their companies
17 that actually compile the data and submit it into
18 the VIS. So, maybe they could be the trainers
19 for their respective organization.

20 HON. BURMAN: Okay. Anyone have any
21 comments or questions so far?

22 Christie?

1 DR. MURRAY: Hey, Leif, it's just a
2 general question about training. In the earlier
3 recommendation, you mentioned -- let me figure
4 out which one it is -- in No. 3, you talked about
5 data security and member confidentiality, et
6 cetera. And it just made me think about ongoing
7 training, like awareness training, thinking about
8 -- I don't know where it would fit into this
9 framework, but just something to consider how or
10 to take back to your Subcommittee, possibly to
11 address how ongoing security and awareness
12 training might fit into the profile.

13 MR. JENSEN: Okay. Any other
14 questions?

15 (No response.)

16 Thank you, Christie.

17 Recommendation No. 6 is really how do
18 we go about training and the content that's
19 training. Ultimately, we want to develop modules
20 that will reference utilizing a systematic
21 approach; you know, basically, teaching the right
22 things to the right people at the right time with

1 the right methods.

2 Kind of like what I mentioned before,
3 trainers could consist of just subject matter
4 experts across the industry and within the
5 regulatory agencies, training the participants
6 how to submit the data, the types of data that we
7 would want, the format that we want them. I
8 think we've talked a little bit about that in the
9 Technology Committee, so that we're comparing
10 apples to apples.

11 We wanted to apply a conduct
12 recommended by the Governance Committee to handle
13 identified and de-identified data with robust
14 rules with degrees of separation to preserve the
15 anonymity.

16 I do mention here training modules
17 with a certificate of successful completion. I
18 think we need to rewrite that because we wanted
19 to stay away from issuing certificates. That
20 kind of opens up a whole other Pandora issues we
21 would need to deal with.

22 And then, ultimately, the

1 confidentiality, how do we actually go about de-
2 identifying data and, then, the method by which
3 to validate the data integrity with a robust
4 QA/QC program.

5 HON. BURMAN: All right.

6 MR. JENSEN: Recommendation No. 7
7 is --

8 HON. BURMAN: Before you get --

9 MR. JENSEN: -- ultimately, defining
10 the workflow process --

11 HON. BURMAN: I'm sorry.

12 MR. JENSEN: -- whether it be with
13 some type flowchart or both a flowchart and a
14 document that describes it. We ought to train to
15 that particular workflow and train to that
16 process. And ultimately, if there is a form,
17 train to that form and that template.

18 HON. BURMAN: I'm just going to stop
19 you here for a minute.

20 I just also, in thinking about this,
21 in Recommendation 6 where it talks about applying
22 a code of conduct, what I also want to be focused

1 on, when we look at some of these
2 recommendations, and how it's framed in the
3 report, some of this we would be identifying as
4 things that are helpful to be done by the VIS
5 leadership and working through that. But whether
6 or not it would be appropriate to have language
7 in the enabling legislation that would say what
8 they can do from a governance perspective without
9 necessarily needing to go through a regulatory
10 process, and being able to have the ability to
11 set some of that, like a code of conduct, rather
12 than statutory enabling legislation that might
13 say you should adopt a code of conduct, which may
14 trigger a lot of other issues or regulation that
15 needs to be done.

16 So, I'm just cognizant of the fact
17 that one of the things that we have to do in the
18 Reporting Subcommittee, and from the Legal
19 Subcommittee, is look through some of this and
20 make sure that we're not instituting other things
21 that will bog us down or trip us up. And so, the
22 report should be very clear about the flexibility

1 and the legislation, or whatever the authority
2 is, to be able to have these things set up as
3 necessary or not, as we work through it, but not
4 that it has to now be done a certain way, if that
5 makes any sense.

6 All right. Thanks.

7 MR. JENSEN: Okay. Thank you for
8 that.

9 Recommendation No. 8 was kind of
10 distinguishing between the different types of
11 information and data we might have to train to,
12 and specifically, the quantitative data, which
13 really derives out of the ILI data and some of
14 the technical things that Bryce just talked
15 about, as opposed to some of the qualitative
16 information, which are more like the lessons
17 learned and other key events that we may want to
18 communicate out to stakeholders that don't
19 necessarily require analysis of the detailed data
20 coming out of the ILI tool.

21 So, in essence, understanding there
22 might be two different levels of participants

1 that we're educating and having to train, those
2 that are dealing with very technical,
3 quantitative data, and those that are dealing
4 with more general, qualitative-type information.

5 And then, Recommendation No. 9 was
6 around all the funding. And if people recall at
7 the last VIS meeting, we did recognize that this
8 is overlapping with some of elements in the
9 Regulatory, Funding, and Legal Subcommittee; and
10 that, ultimately, the request for funding to
11 develop some of the training modules or training
12 programs be included in our request for funding,
13 regardless of what option we pursue.

14 That really wraps it up for the
15 Competency, Awareness, and Training.

16 HON. BURMAN: Alan.

17 MR. MAYBERRY: I had a couple of
18 questions, Leif. Thank you.

19 I'm curious, do you recall how the FAA
20 handled, say, training specifically? I just
21 don't. I know I got a dose of what they set up,
22 but I don't recall the training part.

1 The reason I ask is I see our approach
2 to training. It's very similar to what we do in
3 Oklahoma City, and I guess that should be no
4 surprise as far as the approach.

5 And I'm just thinking about, you know,
6 we're setting up a VIS system. I guess they have
7 instructions on how to use it effectively. But I
8 don't know; I'm just thinking about all the
9 information and just the approach. It's very
10 robust, which at the same time I'm thinking,
11 really, we're looking for providing instruction
12 on how to use the system, and just how robust
13 does it need to be?

14 So, anyway, Sherry, we've got our
15 inside baseball person here. So, you can reflect
16 on what FAA does.

17 DR. BORENER: Thank you.

18 Sherry Borener, PHMSA.

19 So, yes, this is a much more robust
20 method of training, especially for general users,
21 because the FAA model relies heavily on having
22 the integrator, the systems designer, facilitate

1 meetings and provide output. And so, they would
2 have the training and skills at that third-party
3 integrator side. And their requirements for
4 confidentiality, all that stuff, are just
5 reiterated at every meeting.

6 Again, this doesn't have to be the
7 end-state. Like this wouldn't have to be
8 required to start the project. You don't have to
9 implement this level of training. You could
10 implement notification and awareness at the
11 beginning, I think.

12 Does that answer your question?

13 MR. MAYBERRY: Yes, that helps. I
14 guess this is a possible end-state of having a --

15 DR. BORENER: Yes.

16 MR. MAYBERRY: -- very mature --

17 DR. BORENER: If you had a very mature
18 system that everybody got into on their own, as
19 if they did the analysis at their own -- by
20 themselves. But, initially, a lot of it is
21 something where people, you know, they have a
22 norm of behavior. And so, you do have to discuss

1 that data is not shared outside the participants
2 and that it is confidential, and a few other
3 things. But that is more like a thing every time
4 you meet rather than a lot of skill-based
5 training.

6 MR. MAYBERRY: Okay. Thank you.

7 DR. BORENER: If that makes sense?

8 HON. BURMAN: So, it sounds, also, a
9 little bit to me like looking at what we would
10 need to do to have in the report some key
11 takeaways and higher-level what may be necessary,
12 and especially on the enabling legislation, but
13 also giving us an opportunity to do this in a
14 longer-term framework without having to come back
15 and say, "Now we need more."

16 DR. BORENER: Right. Much like the
17 information that you collected on the design of
18 the architecture, this is more guidance on
19 implementation rather than recommendation on
20 requirements to get started. So, you could think
21 of this as something you put in an appendix to a
22 report. This is, you know, if you've got the

1 fully implemented system, maybe this is what
2 you're targeting for. And you wouldn't have to
3 require it just to do the project.

4 HON. BURMAN: Okay. Thank you.

5 MR. JENSEN: The short notes that I
6 wrote, having listened to that conversation, was
7 that perhaps one of the things we could write
8 into our portion of the recommendation is that,
9 once the VIS structure and workflow processes are
10 established, we could develop the tactical
11 training. But I had to phrase it in a sense that
12 Sherry said, phase it in as the VIS evolves and
13 matures.

14 Is that an adequate summary?

15 HON. BURMAN: Yes, I think so.

16 Everyone's nodding. Some nodding off, but --

17 (Laughter.)

18 MR. JENSEN: I'll try to be as
19 monotone as I possibly can.

20 (Laughter.)

21 If it's okay with the VIS Group, I'll
22 move on to the Best Practices, unless Eric has

1 joined since I started.

2 HON. BURMAN: Eric have you joined us?

3 (No response.)

4 Eric is not in the building. So, we
5 can go down to you with Best Practices.

6 MR. JENSEN: Okay. And, Max, feel
7 free to chime-in if there's content that I'm not
8 adequately covering. I have attended some of the
9 Subcommittee meetings, but certainly not all of
10 them.

11 When I look at the content that Eric
12 had submitted, there are five total
13 recommendations. I would characterize them, the
14 first one as defining the scope; the second one,
15 leveraging other industry successes; the third
16 one, allowing the existing sharing venue to
17 continue or foster an ability for sharing across
18 some of those boundaries that would not otherwise
19 would have been pursued. The fourth one is more
20 structurally-oriented and possibly some
21 opportunity to integrate with the Governance.
22 And the fifth one is boiled into stakeholder

1 communication and having a measurable output.

2 So, the first recommendation -- and it
3 touches on some of the themes we've talked about
4 earlier today -- a VIS system for energy pipeline
5 should not be limited specifically to pipeline
6 in-line inspection data. Considerable value and
7 improvement is possible if the sharing is
8 expanded to include all of elements of an
9 integrity management process.

10 And I won't read this verbatim. The
11 first paragraph with all the detail, the second
12 sentence, "An effective pipeline integrity
13 management program involves a very rigorous
14 process that is applied to each pipeline system."
15 And then, at a very high level, process flow
16 which describes that.

17 There was some discussion that we had
18 in Process Sharing Recommendation No. 1 as it
19 relates to managing risk. And if you look at the
20 bottom box on this flow diagram, it does talk
21 about "responses to integrity assessments and
22 mitigation". And my take is there's a direct

1 correlation to Recommendation No. 1 out of
2 Process Sharing on that very broad umbrella of
3 how do we go about managing risk.

4 And then, the last sentence of the
5 paragraph below the flow diagram reads,
6 "Therefore, the recommendation is to expand the
7 VIS to include the entire realm of the integrity
8 management process and in this broader context
9 the types of data and information to be shared,
10 likewise, expands to include, but not limited
11 to:"

12 And then, it goes into, I think,
13 three different main segments. The first one is
14 data and information relative to integrity
15 management. It lists about six or eight
16 different aspects.

17 The second main topic is information
18 relative to process improvement. Then, it goes
19 on to list the types of -- you know, the
20 information that we would want to incorporate
21 into that, such as the operational lessons
22 learned; enhancing the existing technology that

1 we're currently using; sharing of the enhanced
2 processes and practices, specifically, solutions
3 to known problems, including experience with new
4 data/information technology; R&D projects to
5 address gaps, and so forth.

6 So, a lot of this information in the
7 second quadrant or the second is not necessarily
8 the detailed data that we had mentioned back
9 under Competency, Awareness, and Training, but,
10 rather, the qualitative information that
11 stakeholders might be able to utilize to improve
12 their integrity management programs.

13 And then, the third aspect -- this is
14 in concluding Recommendation No. 1 -- is, what
15 are the measurable outcomes? What are the
16 leading indicators of VIS? And so, we want to be
17 able to measure how well we're actually
18 performing. So, how many operators or
19 participants are actually in the process? Any
20 quantitative statistics. How we demonstrate
21 improvement, ultimately, we would want to show,
22 in terms of pipeline safety? And what are we

1 learning from others that would be relevant?

2 So, that's kind of a Reader's Digest
3 version of Recommendation No. 1. And I'll pause
4 at this point.

5 HON. BURMAN: Does anybody have any
6 comments or questions? On the phone?

7 (No response.)

8 In the audience?

9 (No response.)

10 No.

11 MR. JENSEN: Okay. The second
12 recommendation, as I mentioned before, is really
13 leveraging those that have already had success
14 with systems in the past. And it goes ahead and
15 lists a variety of those. I'm not going to read
16 those verbatim, but it does talk about ASIAs and
17 several different meetings that we talked about
18 the various elements within the ASIAs and the
19 General Aviation Joint Steering Committee and
20 their risk management approach.

21 On page 16, it gets into the Center
22 for Offshore Safety and the process by which they

1 have gone through. To page 17, a description of
2 the efforts in PRCI, particularly in the NDE-4E,
3 which is the in-Line Inspection Crack Tool
4 Performance Evaluation.

5 And then, lastly, several industry
6 associations that are listed that we should
7 leverage.

8 So, my take on this is that there are
9 some excellent programs out there that we should
10 learn from, institute into our VIS. And then, as
11 it relates to the industry associations, many of
12 them that are listed here, API, AOPL, PRCI,
13 INGAA, and so forth, already have venues by which
14 their participants and their members share
15 information. And the intent is to let that
16 continue, but possibly we could facilitate a
17 process where inter-association can share. So
18 that the industry as a whole, regardless of
19 product, whether it's 192 or 195, we can learn
20 from each other.

21 HON. BURMAN: Thank you.

22 Does anyone have any comments or

1 questions?

2 (No response.)

3 No.

4 MR. JENSEN: So, Recommendation No. 3,
5 which is on page 18. Earlier someone had made
6 the request that the graphic that illustrates all
7 the various entities that currently share be
8 shown in the recommendation report. It is shown
9 here. Perhaps it's better shown in Process
10 Sharing. I don't really know.

11 But we've looked at this several
12 different meetings and the different color codes
13 indicating the different entities that are out
14 there. They are counted. And then, in the
15 center is the process flow, very similar to the
16 1173 life cycle.

17 And so, the intent here is just to
18 illustrate that there's a lot of sharing that
19 already exists today. And to the extent that we
20 can utilize the hub or the issues analysis team
21 within the hub to foster communication and
22 lessons learned across all of these entities, we

1 will set ourselves up for sharing and improving
2 pipeline safety.

3 HON. BURMAN: Can you just pull up 18,
4 page 18? Okay. So, we can see the actual
5 graphic. Sorry.

6 I think that this really helps us kind
7 of look at the flow and what you are talking
8 about. So, to the extent that people also see
9 holes in this, it would be helpful later for us
10 to focus on that.

11 MR. PARKER: This is Randy Parker at
12 Kinder.

13 That might be a nice thing to have on
14 the cover of a report.

15 HON. BURMAN: Thank you for that.

16 (Laughter.)

17 Does anybody have any comments or
18 questions?

19 Erin?

20 MS. KURILLA: Erin Kurilla, APGA.

21 I want to go on the record here about
22 the fact that the intent -- and I think all the

1 language is right, but I just want to make sure
2 we're all on the same page -- that the intent for
3 each of these, especially the more lessons-
4 learned-type groups between AGA's Peer Review and
5 INGAA's Lessons Learned and the PIX stuff that
6 API does -- in APGA, we have a program called
7 SOAR that's similar. The intent is not to dive
8 into those programs, but, instead, allow those
9 programs to export meaningful lessons learned
10 into the VIS.

11 So, while the arrows go both
12 directions -- I guess they go both directions.
13 We just want to maintain the integrity of those
14 programs without inadvertently --

15 HON. BURMAN: It's not about folding
16 the programs into VIS.

17 MS. KURILLA: Yes.

18 HON. BURMAN: But, to the extent that
19 some of the things that are being done may be
20 helpful --

21 MS. KURILLA: Yes.

22 HON. BURMAN: -- to be utilized or

1 fashioned, and collaborate and complement each
2 other, I think that is something that people will
3 consider and look at. It's not about picking one
4 or all of them and dumping it into VIS.

5 MS. KURILLA: Yes, because I think
6 there's amazing things happening in each one of
7 those programs, and they're due to kind of -- I
8 mean, to be frank -- the closed-door nature of
9 those program. Obviously, there are things that
10 can be exported out of them and shared more
11 broadly than in the individual memberships that
12 contribute to them. And I think all trade
13 associations are onboard with trying to make sure
14 we share across our boundaries, if you will.

15 And so, as long as that's the intent
16 here, and not, instead, have the VIS and go in
17 and look at the data that's driving those lessons
18 learned, then we'll be okay.

19 HON. BURMAN: Does anyone want to
20 speak for anyone, especially because we haven't
21 sort of looked at it as a recommendation?

22 But I think that you raise a good

1 point in terms of the sensitivity of the
2 confidentiality in some of those groups as well.
3 And to the extent that there is sharing and
4 collection of data that might go both ways, or
5 utilizing some of those processes in the VIS and
6 some of that data, part of some of the things
7 that we had in the governance piece, as well as
8 the process sharing, would be utilized to make
9 sure that whatever was being done was, one,
10 allowed, both legally, but also that would make
11 sure we were not chilling further information
12 sharing to get to the common good and the common
13 focus. And there would obviously be different
14 parameters that have to be set up before any
15 sharing was being done.

16 MS. KURILLA: Uh-hum. I think we're
17 all good. I just want to make sure we're careful
18 in how we word this recommendation. And to that
19 extent, I think it's worded fine. I just wanted
20 to make sure we had that conversation about that.

21 HON. BURMAN: It does raise the point,
22 though, that we also don't want to now make it

1 somehow information in the VIS. It's good
2 information; outside of the VIS it's not good.
3 So that somehow we have to be careful in our
4 collaboration that we don't sort of set people up
5 to say, "Okay, well, you allow the VIS to do
6 this, but the data being collected here we now
7 want access to."

8 MS. KURILLA: Yes.

9 HON. BURMAN: Right? So, we have to
10 be sensitive. I think that's a conversation we
11 may need to have with the legal folks, just in
12 terms of you raise a good point. And really,
13 it's food for thought.

14 MS. KURILLA: Yes. Thanks.

15 HON. BURMAN: I don't know if anyone
16 else has any thoughts on that.

17 Sherry? And Max? Max and Sherry?

18 DR. BORENER: I only wanted to comment
19 that in the ASIAS model it's a federated
20 architecture. So, in other words, you never --
21 every one of the entities maintains its own
22 internal control, and then, they share

1 information as relevant for a particular analysis
2 or a particular point.

3 So, you could have a lot of data open
4 if you want to, but it could also be that the
5 only time you look at air traffic control data is
6 when you have a question that involves air
7 traffic control. So, they always maintain
8 control over their data.

9 I think that was the concept. Mark is
10 not here. But I think that was kind of the idea,
11 was that these entities maintain their
12 independence and integrity, and then, they become
13 members of this federated architecture. Does
14 that make sense? So, they never, you never lose
15 control of your access.

16 MR. KIEBA: Yes, Max Kieba, PHMSA.

17 And to address Erin's question
18 particularly, what the Subcommittee discussed was
19 the idea that, yes, there is no intent to go out
20 and drill into their data. I think it's more the
21 concept of -- you probably heard earlier
22 discussions on setting up defined structure on

1 how data or information is shared, but this is
2 more of allowing, if it does get too onerous to
3 follow a certain form or model submitting that
4 data, we would defer to these groups. However
5 they want to share, they decide what's shared.
6 And then, just plug it into, whatever is more
7 convenient to them. And somehow, the hub has got
8 to figure out what to do with it.

9 And then, vice versa, it goes into the
10 hub, and once it goes out of the hub, it, then,
11 is public. So, then, vice versa, the groups can
12 do whatever they want with it, however they
13 choose. But, yes, there's no intent to go into
14 the weeds of the specific --

15 HON. BURMAN: And also, just -- Diane
16 Burman -- just also making sure that the data
17 that comes in also, again remember, is supposed
18 to be ensured in terms of not being able to be
19 identifiable. So, part of that may even be we're
20 not necessarily looking at the specific sub-
21 entity that gave the information because there's
22 only certain -- there's parameters in place for

1 that.

2 And maybe we're overthinking this a
3 little, but I think it's a good sort of exercise
4 for us to keep in mind.

5 John?

6 MR. STODY: John Stody with the
7 Association of Oil Pipe Lines.

8 Having come from the 11th API PIX,
9 Pipeline Information eXchange Conference
10 yesterday, there was a lot of great information
11 shared, a lot of learnings shared, different
12 incidents. So, we appreciate this group
13 acknowledging the potential benefit of working
14 with those groups.

15 One issue we're struggling with as an
16 industry is nothing that was said in that room
17 left that room. And I can't tell you today, "Oh,
18 here's an example of" this or that. We actually
19 have a strategic initiative, executive level, to
20 try and facilitate ways to break down those
21 barriers, and have the processes and procedures
22 for greater sharing and learning.

1 And I think this experience with the
2 PHMSA VIS will help build that mutual trust, that
3 there can be positive sharing mechanisms. And in
4 the future, harnessing what all of these
5 different groups have to offer could be a great
6 source of information for the VIS project.

7 HON. BURMAN: Okay. Very good
8 perspectives.

9 Anyone else have any thoughts?

10 MR. PARKER: This is Randy Parker.

11 I think Erin and Diane raised some
12 good points that the entire Committee should
13 consider, making sure that the protections that
14 would apply to operators or other parties giving
15 information to the VIS should also apply perhaps
16 to associations and other entities in the same
17 manner.

18 MR. OSMAN: This is C.J. Osman from
19 INGAA. I'll keep it short.

20 I just want to echo what Erin and
21 particularly John just said. I do think, if
22 structured correctly with the protections that

1 Randy just mentioned, this could definitely be an
2 incentive to get the takeaways from the lessons
3 learned workshops that we do, the takeaways from
4 the lessons learned database that we keep, out
5 into a format, into a place that people feel
6 comfortable sharing because the protections are
7 demonstrated; they've been vetted; they're out
8 there. So, I agree with John.

9 HON. BURMAN: Okay. Thank you.

10 Anyone else?

11 Alan?

12 MR. MAYBERRY: All good comments.

13 I just think that, you know, fast
14 forward. We're setting up, we're proposing the
15 gold standard here. So, I think in a mature VIS
16 system that, as the API PIX group meets or INGAA,
17 you guys meet, and the foundation that a key
18 building block of your discussion will be the
19 output of this initiative, it will be a valuable
20 source of information that you use, that we all
21 use. And we'll use it as well. You know, it
22 will guide R&D, both for us or for PRCI. So,

1 anyway, that's it.

2 HON. BURMAN: Okay. Thank you.

3 MR. JENSEN: Okay. Hearing no other
4 conversation, thank you all for that input.

5 Moving on to Recommendation 4 at the
6 bottom of page 19, as I mentioned at the kickoff
7 of this, these somewhat overlap with the
8 governance and some of the other aspects we've
9 discussed. So, there may be an opportunity to
10 integrate this recommendation elsewhere in the
11 report.

12 But, essentially, leveraging or
13 providing a framework of best practices found in
14 other information sharing contexts or industries
15 to manage the sharing context and include the
16 fundamental elements, which would include the
17 governance procedures and recommended practices,
18 which we talked about at the beginning of today's
19 meeting; the quality assurance/quality control of
20 data, and even the training with respect to
21 managing the QA/QC; the security and
22 confidentiality and de-identification processes,

1 and recognizing potential barriers, so that we
2 can still woo others to join. And then,
3 ultimately measuring our performance.

4 So, if you flip the page over to page
5 20, there is another continuous improvement
6 cycle. And I do want to point something out.
7 This is really a cut-and-paste from the center of
8 the graphic we looked at before.

9 But, in one of the previous meetings,
10 we had talked about the right side of that
11 circle. And in figure 3 in the middle of page
12 20, we moved "data quality and validation" to the
13 upper quadrant, "de-identified data and
14 information" to the lower quadrant. And in the
15 middle of page 18 they're reversed. And so, we
16 need to reconcile where we actually have this
17 especially.

18 The reason it's flipped in figure 3 on
19 page 20 is we wanted within the issue analysis a
20 third-party member to be able to go back to the
21 data submitters and ask them questions as they
22 pertain to a lack of clarity or additional

1 information that might be required in order to
2 compare apples to apples across the whole
3 population of data.

4 So, I don't think that we need to get
5 into those details today. That's the basis of
6 those two not being in sync.

7 HON. BURMAN: Just in terms of making
8 it in sync for the slide per se, if you look at
9 page 20, the "de-identified data and information"
10 can have arrows both ways. But we do need to
11 sort of look at it and make sure we're all sort
12 of cognizant of what that means and what some of
13 the substantive issues may be.

14 MR. JENSEN: That's a good point.

15 HON. BURMAN: And I think I like the
16 fact that you explained the rationale, and not
17 because it helps us with the graphics, but also
18 it helps us understand some of that flow that's
19 necessary for us to make sure that we have the
20 right system set up for it.

21 Okay. Does anyone have any --

22 MR. JENSEN: The last recommendation,

1 No. 5, is providing a transparency and
2 communication of industry capabilities,
3 processes, procedures, technologies,
4 improvements, and safety results relative to the
5 value of the sharing process.

6 In part, I think this is here to hit
7 the point that I know we heard from Mr. Cote and
8 Kate in early meetings that we want to be
9 transparent and, to the extent possible,
10 interactive with the public. So, we will have to
11 be able to come up with meaningful metrics -- and
12 he's coined that phrase -- that are meaningful
13 for the various audiences that we're
14 communicating to. There will be technical
15 audiences and there will be those who don't
16 necessarily understand the ILI data that need to
17 have it simplified to the level that they
18 understand.

19 HON. BURMAN: Max?

20 MR. KIEBA: Max Kieba with PHMSA.

21 I'll just point out I think it's
22 process sharing. The very last one is Process

1 Sharing 10 now, since there isn't a 12. So, it
2 will align with PS-10, and then, this one would
3 also align with Tech 8. So, in a discussion of
4 aligning with some other recommendations out
5 there, this will align with those.

6 HON. BURMAN: Thank you.

7 MR. KIEBA: And also, the idea here,
8 too, just to expand on that, was -- and I think
9 Diane mentioned earlier about be careful of what
10 we put out. Is something like a certain
11 technology good or bad? The idea here was to
12 also show some good stories of, hey, here's what
13 we learned in a process. Here's some high-level
14 capabilities of these technologies or processes,
15 and here's, also, what we learned about it.
16 Because the public is going to want to see
17 something, even if it's a high-level description
18 of what this group has done. But that was the
19 idea here. Rather than discrete data, also share
20 just some good stories out of it.

21 HON. BURMAN: Okay. Does anybody have
22 any thoughts or comments on this?

1 MS. PATNI: Sonal Patni with the
2 American Gas Association.

3 HON. BURMAN: And if you could speak
4 up?

5 MS. PATNI: Sorry about that.

6 I just want to echo the gentleman's
7 comments. As for us, the Committee is putting
8 out best practices. If they are viewed as
9 guidance, and not necessarily enforced through
10 the different states -- I just want to make sure
11 that we're mindful of that as well.

12 HON. BURMAN: Yes, I do think that
13 will be an important element, to address that
14 sort of head-on in some fashion, have language
15 that captures that. I do recognize my role as a
16 state regulator, and folks will sort of question,
17 well, what does this mean for a particular state
18 and what would they be doing? And, you know, how
19 does that complement or not? I think that needs
20 to be very clear, yes.

21 Okay. Does anybody else have any
22 comments or questions on --

1 MR. KIEBA: So, just a process
2 question, given our votes yesterday. Do you want
3 to vote on any of those or do we feel like we're
4 in a position not to vote on them?

5 HON. BURMAN: Unless there's a
6 specific item that we think needs to be addressed
7 for a vote, it seems like the way we're going is
8 more now you have food for thought, and we can
9 sort of go to the next step, unless there's
10 something that the Subcommittee itself needs to
11 look at before it moves forward on some of this.

12 I do think that the Subcommittee
13 Chairs, at least the majority of them, will have
14 to have cross-conversations on what it means for
15 their subcommittees. And then, the Reporting
16 Committee has to take a lot of this into account.

17 I do think it's important that,
18 shortly after this meeting, by the end of the
19 week, that there are some deliverables in terms
20 of just making sure that everyone is capturing
21 what some of their tasks are and what they need
22 from other subcommittees to do those tasks. So

1 that we're on point in moving forward.

2 And I'm going to turn it over to
3 Christie.

4 DR. MURRAY: So, what I want to say,
5 congratulations, and thank all of you. We just
6 went through 41 pages of recommendations and
7 still with time remaining.

8 So, that process question, one of the
9 things that we will do -- and we've been taking
10 notes -- is we will take the recommendations that
11 we talked about. They will be in an Excel
12 spreadsheet, and there will be a section
13 designated for some of the comments and actions
14 that we heard today that we can share, hopefully,
15 by the end of this week with the Chairs and the
16 ADFOs. So that you can work together to address
17 some of the things that you've heard.

18 Also, I highly recommend that you go
19 back, once the transcript from this meeting is
20 available, and take a look at that. And that
21 will be helpful for those Chairs that aren't here
22 today, to be able to put it into more context.

1 HON. BURMAN: To the extent, also,
2 that the Chairs weren't here, but the folks who
3 helped step up to report, I kind of look at them
4 as also helping to facilitate that conversation
5 as well.

6 All right. With that, I think we're
7 done with the subcommittee reports out.

8 Before we move on to our sort of wrap-
9 up and next steps in the prep work that we need,
10 is there anything that anyone needs to ask or
11 comment on?

12 (No response.)

13 And, Dr. Perry, with your Reporting
14 Subcommittee, is there anything that you see
15 that's necessary for you to have for the next
16 steps?

17 DR. PERRY: Hi. Thank you, Diane.

18 No. I'll probably be sending out a
19 message to the Chairs about some specific things
20 to think about when bringing forward the report.
21 But there are four things that I really want
22 people to focus on.

1 I'm thinking about contextualizing and
2 aligning all the recommendations with the legal
3 mandates, missions, and concepts. I think most
4 of the subcommittees did a great job of that.
5 The thing is, we need those things written out in
6 narrative, full sentences. That would be
7 helpful. That's one thing.

8 The second thing is to make sure that,
9 if you're the Chair of a subcommittee, that you
10 make sure that we have the flipcharts and tables
11 that go along with it, and those are correct.

12 And then, also, any documents that you
13 might be referring to, technical documents or
14 specific regulatory documents, that you give us
15 either a copy of those or whether or not you've
16 also included them in an appendices or a full
17 reference.

18 And then, I guess the fourth thing
19 that I heard today was, for some of the
20 subcommittees, there are groups of
21 recommendations within each subcommittee. And
22 when you're thinking about contextualizing and

1 writing out a narrative about justifications or
2 why this is recommended and how it aligns with
3 the mandate, if you can look at how maybe they do
4 fall together in theme within your subcommittee,
5 that would also be a helpful way to think about
6 it.

7 So, those are some things. Hopefully,
8 people will think about actually writing out some
9 narrative. That would help in the reporting.

10 So, that's it. Thank you.

11 Great job, everybody.

12 DR. MURRAY: And this is Christie
13 Murray.

14 I would echo those comments. I want
15 to say there were several subcommittees where
16 there were recommendations that were similar
17 topical areas, but they weren't necessarily
18 recommended together. And I think it might add
19 more clarity, for example -- I forget which
20 subcommittee, but there were several
21 recommendations about developing a hub or
22 something regarding a hub sort of an approach.

1 It might be helpful to group those together and
2 other like topical areas, as you are considering
3 your next update.

4 All right. So, we are moving into the
5 phase where we can really start to take a step
6 back, think about where we are now in terms of
7 the recommendations, some of the homework that
8 remains between now and the next meeting, between
9 now and the next Committee meeting, which will be
10 November 8th and 9th.

11 So, just to remind everybody, we will
12 be meeting again November 8th. The subcommittee
13 meetings will take place. And then, on November
14 9th, we will have the Advisory Committee meeting,
15 similar to what we had today. If that needs to
16 change in terms of how we use both of those days,
17 that's something we can certainly talk about. I
18 don't know if it makes sense to have two days to
19 go through recommendations or to come forward.
20 We'll have a draft report and spend both days
21 going through the report. Or if the
22 subcommittees would still like time to refine

1 some things prior to the meeting on the 9th.

2 The one thing that I will ask for
3 consideration is, and feedback on, I thought
4 having the ability to review the consolidated
5 recommendations was useful ahead of time. And if
6 we spend November 8th making changes, that would
7 make it a bit more difficult to give everyone
8 adequate time to review those before the 9th.
9 So, that's one of the things that makes me want
10 to pause and think about the approach a little
11 bit differently in terms of what's gone before
12 November 8th, so that we can give at least a
13 week's opportunity for review prior to getting
14 back together. So, it's just more of a
15 discussion point for the Committee.

16 And possibly using both days to really
17 get into the -- in Christie's crystal ball world,
18 we would have a fully drafted report that we
19 could walk through -- well, we would have a
20 chance to review prior to the meeting, and we
21 would still be able to walk through the
22 recommendations, but we would be able to see it

1 all fit together.

2 And having two days would give the
3 full Committee more time to digest it all and to
4 have some really robust conversations. And we'll
5 have an initial view into how the full report
6 aligns or may need to align with other components
7 of it. So, that's just my thought -- for
8 November.

9 HON. BURMAN: I do think that it may
10 work out that way. I do think we also need to
11 keep in mind that the subcommittees may need to
12 meet after. So, I see the November 8th and 9th
13 being pretty intense, as well as potentially
14 November 8th having folks get together at night.
15 Now I don't want to be a workhorse, and I don't
16 know how much we can do. But I really want to
17 stress that this is a time for us to maximize it
18 as much as we can.

19 And then, from that, also, the end of
20 November, have a lot of the final report draft
21 available shortly after Thanksgiving, so that
22 there's enough time in between to look at

1 December 18th and 19th as well. And December
2 18th and 19th may wind up being a combination of
3 two days of Advisory Committee public meeting as
4 well as subcommittee meeting on the 18th, the
5 same thing.

6 So, I know we have to notice them. I
7 don't know how we can, if you can do a flexible
8 notice as well for the first day. I know it's a
9 little difficult, but we're going to have to make
10 some decisions from a process perspective.

11 Also, I'm cognizant of the fact that,
12 especially because we can look at the formal
13 written comments after the report is finalized,
14 but we can't incorporate it. But, to the extent
15 that it's out there for people to see and have an
16 opportunity to come and be ready to share what
17 some of their members may be thinking, it may be
18 helpful for the conversation. Okay?

19 DR. MURRAY: And I would say that, if
20 we decide to turn subcommittee meeting dates into
21 public meetings, we will need to adjust our
22 Federal Register notice and give adequate time to

1 the public to be able to adjust. So, we will
2 need to make some critical process questions here
3 in the short term, particularly for the November
4 8th and 9th meeting.

5 Let's see. I have some dates that we
6 probably should talk about in terms of what needs
7 to happen between now and November. And this is
8 something we can certainly talk about. So, if we
9 need to adjust it, now would be a great time to
10 talk about it.

11 So, today is Wednesday, October 3rd.
12 What we're proposing is, by October 22nd, the
13 subcommittees have their next version of their
14 recommendations and report sections ready. That
15 gives us a little less than two weeks to clean up
16 what everybody sends and to try to meet a one-
17 week window to send it back out to the parent
18 Committee and others.

19 So, what we would like to do is to
20 have it by the 22nd. Give the Reporting
21 Subcommittee a chance to consolidate and send it
22 back out for parent Committee review and feedback

1 by October 29th, which is a little more than a
2 week before the November 8th meeting.

3 My question is, is that enough time?
4 And the second question I have, if we decide to
5 move forward and have the subcommittees work -- I
6 know the Mission and Objective, we started out
7 with some pretty interesting dialog around Option
8 A, B, and possibly a hybrid C.

9 And so, what is the Committee's
10 desire? Does it make sense now to keep Option
11 A, flesh it out because there were some
12 clarifications. Even if it were to stand as a
13 recommendation, it sounded like there were
14 clarifications and modifications needed. And if
15 that is the case, could one recommendation be to
16 include A, B, and a possible hybrid, for the
17 Committee's consideration in November, but
18 clarified, based on some of the comments we've
19 heard today? And then, the parent Committee will
20 have that time to decide which one seems
21 practical at that point.

22 HON. BURMAN: This is Diane Burman.

1 I think that, between now and then,
2 there's a going to be a number of different folks
3 on the subcommittees weighing-in with the
4 Subcommittee Chairs, talking. So, I think that
5 there's a lot of food for thought in terms of
6 fleshing out the A and the B with the side-by-
7 side chart, as well as looking at potentially
8 some out-of-box solutions and incorporation. So,
9 I think it's too soon to say exactly what we may
10 be voting on, but I do think that I am hopeful
11 that, through this collaborative process and with
12 the discussion we had today, that further sort of
13 thoughts and feedback to folks will provide us
14 sort of a good roadmap.

15 I think the Mission and Objectives and
16 the governance is sort of critical to a lot of
17 the other things. So, I do expect that the
18 Subcommittee Chairs will be getting feedback on
19 that, and then, be able to help as it flows to
20 some of that for the other sections, including
21 process and technology as well.

22 And also, to the extent that some of

1 the competency training recommendations flowed
2 into the governance, I do think that Dan, who was
3 very focused on day one about governance being
4 critical, has really sort of made it for me today
5 really shine for me that that part of it, and
6 going through that for the key takeaways and what
7 exactly we're looking for is helpful.

8 I want to caution people not to focus
9 on having the program detailed out in such a way
10 that it doesn't provide us the flexibility, but
11 take a step back and think about it from a key
12 takeaway perspective, ultimate goals, and how do
13 we get there. And how do we enable that
14 collaboration to put together a robust,
15 substantive report that helps people take it to
16 the next step that will actually make it the
17 potential for it to be something very useful for
18 all of us, is what I would like to say.

19 DR. MURRAY: So, in terms of guidance
20 to the Mission and Objectives and the RFL, in
21 particular, Subcommittee, based on those
22 discussions that will need to take place between

1 now and November, what comes out of those
2 discussions? Do you anticipate it being a clear
3 Option 1, A, B, and C, and then, the Committee
4 will decide in November which they may want to
5 consider and vote on?

6 HON. BURMAN: Yes, I think that the
7 Committee should be ready or the parent Committee
8 should be focused on, and subcommittees should be
9 focused on, looking at some recommendations that
10 they may vote on, even if it's also sort of
11 incorporation of the discussion and the dialog.
12 And then, looking at it from, okay, this is the
13 direction that we're going.

14 I don't want to chill what I think
15 will be productive subcommittee discussions on
16 that between now and then, but I am laser-focused
17 on that, if we really want to have this as a
18 substantive report that is helpful. Especially
19 as we move forward to pipeline reauthorization,
20 next steps, we're going to have to do some of the
21 hard work before that November meeting.

22 So, I do anticipate that we will get

1 a sense of that, and we should do a checkpoint
2 with the Subcommittee Chairs and an
3 administrative meeting, if necessary, in between.
4 So that, if there are trip-ups, that we're not
5 waiting until the last minute for that.

6 DR. MURRAY: Okay.

7 MR. PARKER: Diane, this is Randy
8 Parker.

9 I wanted to say that one of the
10 thoughts I had was having combined Subcommittee
11 meetings between the RFL Committee and the
12 Governance Committee because we have a lot of
13 overlapping members on each committee, and work
14 together in order to speed up the process.

15 Secondly, I would say that there have
16 been discussions about the possibility of talking
17 with the full Committee about presenting options
18 to the Secretary. In other words, a couple of
19 options or hybrids that might have different
20 approaches, but we find each of them very good,
21 that we could propose to the Secretary. So, I'm
22 just throwing that out as something in progress.

1 HON. BURMAN: Okay. First, I agree
2 with you about having the combined meetings, to
3 the extent that we're able to. I think it's
4 helpful. I do think that sort of the steps you
5 outlined is helpful.

6 DR. MURRAY: Okay. So, in terms of
7 refined dates -- and this chart may not depict
8 what I'm going to say in some regard --
9 subcommittees, your next report and
10 recommendation submission date is by October
11 22nd, which is a Monday.

12 The Reporting Subcommittee will work
13 to have all those sections consolidated and
14 updated in the report by October 29th. And we
15 will send out the updated report with the
16 recommendations to the parent Committee by
17 November 1st, which will give seven days prior to
18 the next meeting.

19 And for those who are members of the
20 public and interested parties, the report will
21 also be posted to the meeting registration page
22 on November 1st, so that you'll have the draft,

1 pre-decisional documents that the parent
2 Committee will also look at.

3 And Diane and I will confer with
4 others to determine whether or not -- probably
5 the ADFO and Chairs and our leadership at PHMSA
6 -- to determine if the first day, November 8th,
7 should be a working subcommittee day or a two-day
8 full Advisory Committee day.

9 If your Chairs are not here, and
10 you're discussing what needs to take place and
11 you have recommendations on how to use that time,
12 please let us know, so that we can consider that
13 in our decisionmaking.

14 Let's see if there's anything else.
15 I think that is all I had.

16 Are there any questions from you --

17 MR. HERETH: Dr. Murray?

18 DR. MURRAY: Yes? Yes, did someone
19 have a question?

20 MR. HERETH: Yes, Dr. Murray, this is
21 Mark Hereth.

22 So, I'm catching up on where you guys

1 are going. And I'm open to either direction you
2 all want to go on the November meetings. There
3 may be value in just meetings of the full
4 Committee, meetings both of those days.

5 But I think we talked about it
6 earlier. I think we'll try to get Eric and Best
7 Practices and Bryce and Technology together with
8 Process Sharing, so we can go through some of
9 ours together and make sure we've got the right
10 connections before the recommendations.

11 DR. MURRAY: Okay. Thank you, Mark.
12 We will certainly consider that.

13 And we certainly encourage as much
14 joint subcommittee dialog and interaction to help
15 flesh out some of these recommendations. We
16 certainly encourage you guys to certainly work
17 together to do so.

18 I heard several examples of crossover
19 between subcommittees. Let us know how we can
20 help your ADFOs help facilitate that.

21 HON. BURMAN: Did I hear you right,
22 Mark, that you were suggesting possibly having

1 the November meeting, having it as both days
2 being subcommittee meetings, right? So, is that
3 what I heard?

4 DR. MURRAY: I thought he said both
5 full Advisories.

6 HON. BURMAN: Full Advisories?

7 MR. HERETH: Well, that's kind of the
8 sense that I picked up on kind of coming into it
9 late, this discussion, but I may be off base
10 there.

11 HON. BURMAN: Okay. That's why I was
12 just questioning.

13 MR. HERETH: Yes, yes, yes.

14 HON. BURMAN: Right now, I think we
15 have about -- forget about Option A and B --
16 right now, we have A through Z logistically.
17 Just joking.

18 But I do think that we should make
19 sure that all the different options are there and
20 what makes the most sense for the workload as
21 well as the substantive dialog. And so, we'll
22 just have to touch base. And I know folks will

1 also touch base among themselves to kind of see
2 and make change based on who we see we need to
3 meet with. Okay.

4 MR. HERETH: Oh, yes. And just to
5 clarify, I meant main Committee both days, not
6 subcommittee one day and the main the next day.
7 I'm sorry.

8 HON. BURMAN: Okay. So, both days
9 parent Committee.

10 MR. HERETH: Yes, yes.

11 HON. BURMAN: Okay.

12 MR. HERETH: Sorry.

13 HON. BURMAN: No, that's okay. Thank
14 you.

15 DR. MURRAY: Okay. Any final
16 questions or clarifications?

17 DR. PERRY: Hi. This is Simona. Hi.

18 I just wanted to invite anybody to
19 participate in the Reporting Subcommittee meeting
20 that we're having next Tuesday, October 9th, at
21 12:00 p.m. It would be a good opportunity if you
22 are working on getting the recommendations

1 finalized and submitted in a report for that, if
2 you wanted to ask questions or just get clarity
3 on where we're going with the report coming
4 together and the outline of it, and everything.
5 So, I encourage other subcommittee members and
6 Chairs to participate in that.

7 HON. BURMAN: Maybe we can have PHMSA
8 send out an email calendar invite. Even if folks
9 aren't able to be there, they might be able to be
10 in for part of the time or designate someone.

11 So, thank you.

12 DR. PERRY: Yes, thank you.

13 DR. MURRAY: Okay. Well, thank you
14 all very much. If there is --

15 MR. JENSEN: This is Leif. If I could
16 just chime-in real quick?

17 I would like to echo, unintended, what
18 Mark just said. I would appreciate if we would
19 move the public meeting to November 8th, that
20 Thursday, and possibly even into Friday, November
21 9. I think there's been enough progress made
22 today, and the subcommittees can clarify the

1 report. And there will be a lot of value in
2 having another full discussion that Thursday.
3 And then, to the extent that we need to work into
4 the evening to finalize or further mature
5 recommendations, discuss that again on Friday.
6 And maybe it's only a half-day public meeting on
7 Friday. And then, that would allow subcommittees
8 to further deliberate and debrief Friday
9 afternoon. And then, those that have to travel
10 can catch early evening flights and not worry
11 about those that have to quickly exit to catch
12 flights on late Friday afternoon.

13 DR. MURRAY: Okay. Thank you for that
14 feedback. We'll certainly incorporate that into
15 making some adjustments for the November meeting.

16 Any other thoughts?

17 (No response.)

18 HON. BURMAN: All right. Thank you
19 very much.

20 This, I think, was well worth having
21 this meeting. I appreciate everyone.

22 I also just want to say a special

1 thank you to the PHMSA staff. You've been
2 incredible to work with and you continue to
3 impress me with your dedication. It means a lot,
4 a great deal to me.

5 So, thank you to everyone.

6 And thank you to our court reporter as
7 well.

8 And also, to the audience. I
9 appreciated the willingness to step up and talk
10 and share your thoughts. And this is all really
11 about us collaborating together with the common
12 goal. And thank you. I appreciate it.

13 DR. MURRAY: All right. Thank you
14 all.

15 Enjoy the rest of your day.

16 (Whereupon, at 3:48 p.m., the meeting
17 was adjourned.)

18

19

20

21

22

A		
a.m 1:14 5:2 85:7,8	acknowledging 166:12 273:13	administered 46:4,5 83:3
ability 23:9,9 37:1,2 64:16 65:16 76:6 79:4 98:8 100:22 165:18 194:9 197:21 208:20 210:8 217:8,21 221:4 243:10 252:10 259:17 288:4	acronyms 168:5 172:13	administering 47:4,7 117:19 148:6
able 5:13 19:3,15 21:3 30:5 34:22 36:9 37:12 38:2 69:14 82:10 90:14 94:12 121:5 136:14 140:8 144:7 145:22 151:20 176:15 177:15 181:20 182:13 190:22 198:21 203:5 203:22 214:2 221:1 222:14 234:8 242:7 242:11 252:10 253:2 262:11,17 272:18 277:20 279:11 283:22 288:21,22 291:1 293:19 297:3 302:9,9	Act 6:2	administrated 68:1,4 68:12,14
absolutely 87:5 110:10 172:14 211:14	action 4:20 26:16 87:21 89:11 90:5 91:20 92:1 92:19 93:5 95:5,7,13 99:13 132:1 226:16	administration 1:3 92:22 94:2
accelerate 133:3,14	actionable 8:13 111:17	administrative 296:3
accept 162:9	actions 11:4 30:19 89:7 89:15 91:5,17 131:7 131:10 193:18 197:16 200:9 283:13	administrator 2:7 21:18 22:2 107:13 149:11 243:14 245:8
acceptable 164:17	active 12:21	admissibility 92:7
accepted 163:14	activities 27:6 65:13 226:2	admit 227:12
access 12:18 153:12,13 185:10,11,12 216:21 220:5 236:8 237:13 237:16 270:7 271:15	activity 92:13	adopt 115:7,18 154:18 252:13
accessible 236:13	actual 130:12 214:5 222:5,18 232:22 266:4	adoption 23:6
accidentally 199:1	add 67:10 108:9 133:9 154:11 203:19 211:10 219:6 286:18	advance 29:17 124:15 163:19
accidently 159:7	added 126:8	advancements 8:12
accommodate 207:8 208:17	addition 73:8 82:1 145:9 191:19 206:15 215:5	advantage 155:5 188:15
accompany 35:9	additional 19:7 67:3 86:20 161:1 193:20 206:14 208:2 209:3 277:22	advantages 68:12
accompanying 86:1	Additionally 12:20	advice 7:17
accomplish 183:7 184:1 231:7	address 6:15 34:16 61:10 63:19 78:16 86:14 96:15 108:13 122:8 156:13 182:7 182:15,18 183:4,9 198:16 201:8 249:11 262:5 271:17 281:13 283:16	advise 7:8
accomplished 183:22 11:21 77:14 230:20 282:16	addressed 30:15 31:20 56:14 57:15 73:9 84:18 122:6 125:14 125:15 282:6	Advisories 300:5,6
accountability 148:7 216:4	addresses 63:2 86:17 164:18	advisory 5:6 79:4,11 287:14 290:3 298:8
accountable 245:3	addressing 121:21 122:2 200:10	advocate 54:18
accounted 11:22	adequate 100:13 258:14 288:8 290:22	AED 12:6
achievable 31:2	adequately 259:8	Affairs 2:10
achieve 53:4 130:19 137:8 221:5	ADFO 298:5	afternoon 26:12 27:3,7 27:14 152:5 303:9,12
achievements 20:8,12	ADFOs 283:16 299:20	AGA 101:11,14,16 102:6
achieving 69:22 149:10	Adjourn 4:22	AGA's 267:4
acknowledge 18:16 164:4	adjourned 304:17	agencies 68:14 90:18 250:5
acknowledged 18:12	adjust 290:21 291:1,9	agency 40:2 90:8
	adjustments 26:9 303:15	agenda 4:7,14,18 21:11 25:4 26:18,22 27:7
		aggressive 24:1
		agility 159:16
		ago 24:8 99:15 108:19 113:6
		agree 97:15 139:11,22 161:5 164:20 165:19 173:9 177:2,3,5 227:7 229:9,12 245:8 275:8 297:1
		agreed 12:16 197:12
		agreeing 159:16
		agreement 7:16
		agreements 40:8 66:15 93:20 94:3
		ahead 40:22 109:16 110:21 138:4 175:9 263:14 288:5
		aid 12:4
		air 271:5,6
		Alan 2:7 12:15 15:4 17:12 21:15 43:8 44:2 58:2 70:14,16 83:10 98:11 101:8 117:22 130:22 158:5 174:10 200:19,20 254:16 275:11
		alarm 11:3
		alarm- 11:1
		albeit 161:3
		Alicia 2:2 17:2 72:3 73:13 82:13,14
		align 178:18 280:2,3,5 289:6
		aligned 155:22 156:8 234:16
		aligning 280:4 285:2
		alignment 97:12
		aligns 100:16 286:2 289:6
		All-American 14:20
		Alliance 69:14 82:18 133:9 247:3
		allow 45:2 57:11 74:8 79:8 100:20 182:13 207:7 267:8 270:5 303:7
		allowed 35:20 89:15 101:1 123:11,12 269:10
		allowing 75:21 259:16 272:2
		allows 53:7
		ALPI 26:21
		alternate 123:11
		alternative 73:3 165:13
		alternatives 38:13 49:5 69:12 117:1 139:7 164:13
		amazing 268:6
		ambassadors 60:17
		ambiguity 179:13
		America 2:6
		American 3:8,13,16 15:20,22 124:12 188:8,9 281:2
		amount 20:10 35:14 73:19
		Amundsen 1:17 16:13 16:14 151:20
		analogous 135:17
		analyses 177:15 197:14
		analysis 6:11 7:22 39:10,17 40:20 64:7 118:8 143:9 159:18 165:19 166:4,21

180:6,17 182:14
 191:21 192:5 197:22
 210:9 213:18 214:17
 214:19,22 215:3,4
 218:18 226:7 235:16
 244:12 253:19 256:19
 265:20 271:1 277:19
analytical 244:3
analytics 212:7
analyze 117:13 164:12
 174:19
and/or 195:9 205:19
angles 62:8
angst 233:5
animal 47:22
annual 71:10 115:18
anomalies 188:12
 203:6
anomaly 168:14 187:1
 187:8,10
anonymity 244:21
 250:15
anonymous 216:19
answer 27:20 69:1,2
 216:15 256:12
answers 216:12
anticipate 295:2,22
anticipation 22:10
anybody 12:4 33:9
 44:19 129:17 136:19
 171:19 212:20 213:1
 219:6 238:15 245:10
 247:13 263:5 266:17
 280:21 281:21 301:18
anyway 186:20 255:14
 276:1
AOPL 193:7 199:4
 225:13,17 264:12
apart 82:11
APGA 62:1 156:21
 266:20 267:6
API 106:20 115:1,3,17
 115:20 118:8 120:13
 126:1 138:20 154:22
 155:21 264:12 267:6
 273:8 275:16
apologize 82:14 124:15
 196:17
appear 133:2 245:15
appears 210:15 237:9
appendices 285:16
appendix 202:9,12
 257:21
apple-to-apple 192:16
apples 250:10,10 278:2
 278:2
applicable 122:22
 230:8

application 37:13 187:8
applications 135:16
applied 135:12 260:14
applies 135:14
apply 93:12 123:15,20
 192:20 250:11 274:14
 274:15
applying 118:2,3
 123:17,19 124:6
 128:6 135:13 136:3
 143:4 251:21
appreciate 5:19 24:4
 61:19 83:11 84:14
 98:14 144:1 148:11
 151:2 161:7 176:11
 183:6,12 200:21
 202:13 218:17 228:21
 229:9,19 231:4,10
 239:13,16,21 240:6
 273:12 302:18 303:21
 304:12
appreciated 64:1 304:9
appreciation 225:20
apprehension 59:1
 75:2
approach 11:18 22:21
 23:5 34:2 85:1 93:16
 107:7 134:11 138:15
 192:12 197:11 201:8
 208:1 226:14 249:21
 255:1,4,9 263:20
 286:22 288:10
approached 32:3
approaches 29:7 162:5
 296:20
appropriate 8:1 21:1,8
 33:11,15 35:19
 102:15 158:22 165:5
 172:14 186:14 187:7
 191:19 241:14 252:6
architectural 208:1
architecture 162:8
 175:18 206:1 208:19
 209:8 212:3 223:17
 223:17 224:9 236:12
 257:18 270:20 271:13
area 11:15,20 83:17
 90:11,14 94:2 217:7
areas 30:17 39:19
 91:15 93:5 96:15
 187:12 286:17 287:2
arising 49:6 89:7
array 22:17 98:19
arrows 75:5 267:11
 278:10
art 108:18
articulate 62:22
articulates 202:10

ASIAS 118:19 134:20
 263:16,18 270:19
aside 136:6
asked 49:1 134:14
 143:18 149:17 247:5
asking 97:17 157:2,8
 196:13 203:21
asks 6:3 10:7
ASNT 155:2
aspect 23:1 30:16
 50:21 77:12,20
 100:18 213:20 214:4
 262:13
aspects 7:21 49:15
 50:17 76:22 79:6,13
 80:6 102:7 158:1
 164:2,12 213:15
 214:20 216:5 261:16
 276:8
assess 192:14 203:5,22
assessment 12:11
 106:13 107:2 111:4
 117:3 120:2,14 123:9
 123:10 124:1 130:3
 135:13,15 137:14
 161:20 171:13 186:13
 186:17 191:16 192:8
 192:13 194:7 195:6,8
 197:19,20,21 204:17
 204:19,21 207:8,15
 217:8
assessments 223:9
 260:21
asset 2:4 129:6
assign 148:7 230:4
assigned 28:7
assignments 81:22
assist 12:6 26:5 93:22
Associate 2:7 21:17
associated 130:14
 191:18 205:14 219:4
Association 3:13,16,18
 15:18,21 16:1 63:22
 124:13 162:20 273:7
 281:2
associations 74:2
 107:12 137:19 138:1
 264:6,11 268:13
 274:16
assume 220:7
assuming 142:6
assumption 72:19
assurance 116:20
assurance/quality
 124:3 276:19
attached 35:13 36:1
attempt 176:2
attend 242:7,10

attendance 152:2
attended 24:15 259:8
attention 37:8
attribute 168:5
audience 10:4,6,9
 15:13 16:5 26:20
 34:17 36:5 59:9 80:7
 80:18 100:9 108:6
 109:12 114:17 122:16
 135:8,21 136:22
 147:21 155:16 162:17
 169:7 186:1 188:1
 193:4 195:19,22
 205:6 206:11 213:4
 217:16 235:22 243:20
 245:13 263:8 304:8
audiences 202:4
 247:20 279:13,15
audit 115:19 117:2,2,4
 121:8,13
audited 126:2
auditing 116:9,11
 117:15 121:9 163:5
August 38:11 153:18
author 247:4
authorities 47:14
authority 46:14,16 47:8
 47:12,13,16,18 64:11
 65:2,8 88:4,13 93:12
 93:13 148:8 150:13
 156:9 164:9 166:8
 232:9 253:1
authorization 35:1
authorized 236:8
authorizing 92:9
automated 238:13
availability 241:1,14
available 18:7 168:4
 173:18 180:1 188:14
 197:8 242:2 283:20
 289:21
avenue 1:13 10:22
 208:4
average 203:12
aviation 20:11 48:2
 91:10 209:4 263:19
avoid 84:8 158:8
aware 161:19
awareness 4:11 242:3
 242:13,20 243:5
 245:17 247:10 249:7
 249:11 254:15 256:10
 262:9
awareness' 246:21
aye 16:12,14,16,18,20
 16:22 17:3,6,9,11,16
 17:19 18:1

B			
B 33:2,5 38:16,22 40:22 41:8,11,18 42:8,11,20 42:22 44:14,16 45:1 45:19 46:4,5,15 47:3 47:17 48:16 50:14,17 54:19 56:9 57:7,16 58:13,14 59:14,17 60:10 61:15 62:16,19 63:5 71:14 72:13 73:6 74:8,16,20 75:17,17 76:14,17 77:16 82:6 85:22 87:18 92:17,19 93:7 96:7,16 97:1,10 100:12,14 104:1,4 115:13 116:13 119:18 119:20 123:15,20 124:7,17,21 125:4 127:3,4,11,14 131:6 139:7 292:8,16 293:6 295:3 300:15	224:22 231:17 245:21 292:18 294:21 301:2 basic 64:5 basically 154:14 168:18 170:22 176:1 187:17 249:21 basis 107:16 248:13 278:5 bearing 61:16 66:8 becoming 96:22 beginning 92:10 181:4 198:7 256:11 276:18 begins 38:17 begs 49:10 182:16 behalf 22:2 36:14 75:19 behavior 256:22 believe 23:15 28:17 34:12 36:22 54:19 55:11 104:6 149:8 191:1 231:3 236:19 241:22 245:7 Bellamy 1:18 16:15,16 121:21 138:5,9,13 139:14,21 140:1,5,13 140:17 152:7,15,19 153:2 Bellamy's 51:18 belong 214:19 benchmarking 82:19 121:1,8,15 benefit 67:3 89:2 91:17 273:13 benefits 165:1 229:12 246:13 best 4:10 34:2 54:6 71:9 73:16 112:17,18 113:1 114:8 151:11 151:14,18 152:9 173:4 192:22 200:6 226:14 239:19 241:21 242:8,9,16 258:22 259:5 276:13 281:8 299:6 better 12:5 50:11 53:6 60:21 111:10 112:2 179:19 183:2,17 200:17 203:10 211:13 215:11 221:6 222:1 226:5 229:12 265:9 beyond 23:2 158:20 208:13 bi-directional 75:4 big 57:20 95:10 157:2 178:4 198:19 200:3 219:16 bigger 241:16 Bill 3:8 14:19 205:2 bind 162:1	binding 163:18 bit 5:17 9:22 19:15 25:13 27:11 52:14,20 54:3 70:21 73:15 97:3 99:16 117:4 125:5 132:4 136:13 160:13 160:14 170:20 175:19 178:16 183:14,14 184:15 185:14 190:5 202:16 212:3 214:2,8 216:3,22 218:8 220:15 238:21 250:8 257:9 288:7,11 Blacksmith 44:22 104:21 208:11 230:11 Blacksmith's 14:11 blend 53:6 77:17 blended 79:15 84:22 101:6 blending 77:13 block 275:18 blueprint 79:21 Blystone 1:19 16:17,18 56:3 59:11 77:15 82:9 144:16,19 145:2,8 Blystone's 75:3 board 38:20 39:9,14,15 39:18 40:9,19 43:1 44:16 46:9,15,16 47:1 65:3,7,13,18 66:10,16 66:20 83:12 86:9 147:11 226:8 245:7 boards 65:3 Bob 231:12 bodies 105:14 body 148:6 182:5 228:9 bog 252:21 boil 189:16 boiled 259:22 boilerplate 128:5 bold 111:17 Borener 3:7 16:2,2 56:4 56:5 119:9 120:19,20 121:3,6 122:1,9,12 141:7,8,8,9 142:2,17 179:6,7 180:15 255:17,18 256:15,17 257:7,16 270:18 bottom 260:20 276:6 boundaries 259:18 268:14 bounds 97:17 box 196:13 260:20 boxes 196:15 brainpower 32:1 breadth 207:20 break 9:5 25:17 26:4 84:12 85:15 90:5	189:9 190:8,22 273:20 bridge 81:6 brief 4:2 10:10 briefly 123:6 bring 32:5 33:7 69:14 81:19 118:22 125:11 127:6 155:6 175:10 177:21 179:14 194:13 198:9,10 209:8,22 223:13 233:16 bringing 284:20 brings 178:20 brittle 199:14 broad 98:21 99:1 111:7 200:2,7,8,14 214:2 261:2 broaden 120:2,14 broadened 115:5 120:9 broadening 123:8 broader 107:3 111:18 143:14 213:7,19 261:8 broadly 143:3 268:11 broke 130:17 broker 58:19 brought 32:17 62:3 87:1 104:7 217:1 Brown 1:20 16:19,20 153:4,4,7,8,16 160:8 160:11 161:10 164:19 165:15 166:15 167:13 167:17 169:10 170:8 172:1,20 174:21 175:16 177:2,5,18 178:2 180:14,19 181:22 183:11 184:3 184:7,18 185:1,5 186:4 188:4 189:10 190:20 191:2,4,8,12 193:5 194:5 195:3 196:8 197:3 202:14 204:10 205:9 206:14 208:15 209:16,21 211:5,11,15,21 214:14 215:6 216:17 217:19 218:22 222:21 224:7 226:19 227:1 228:10 235:5,9,12 236:5 237:5,7,12,22 238:3,6 239:9,11 240:10,20 Bryce 1:20 16:19 113:2 152:16 153:1,2,4,8 160:6 174:3 182:2 184:2 190:19 196:1,4 198:1 200:20 202:13 202:15 203:8 208:10

226:19 228:2 229:13
236:21 253:14 299:7
Buchanan 1:21 16:21
16:22 231:12,12
buck 204:22
build 88:12 115:1,11
120:1,7 131:20
137:21 139:4 142:2
174:12 223:2 274:2
build-upon 132:21
building 8:17 9:2,4 11:1
11:7,9,16 25:19,20
26:2 105:22 106:22
107:10 113:5,18,22
123:7 132:22 133:17
259:4 275:18
builds 110:2
built 60:12 133:12
139:18 228:17
bullet 157:7
bunch 199:11
Burman's 49:13
business 4:6 161:12
162:22
busy 151:3
buy-in 32:9 56:22 78:20
81:15 156:14

C

C 52:20 54:20 60:1 63:1
75:20 84:21 292:8
295:3
C.J 3:15 15:17 67:9
274:18
cable 13:4
cafeteria 26:1
calendar 302:8
call 4:4 12:16,17 14:6
18:3 34:11 60:7 99:4
151:21 168:14,15
173:10 242:15
called 28:3 106:20
267:6
calling 13:22 68:1
calls 216:12
candid 62:7 63:4
capabilities 193:16
200:3 279:2 280:14
capability 57:10 203:4
203:15
capable 12:3
capitalize 53:12
capture 118:4 180:12
227:8 233:22
captured 18:6 85:20
112:17 168:8
captures 281:15
capturing 79:22 179:22

282:20
card 18:15 109:8
212:21
cards 9:19
care 18:15 162:11
229:7
careful 52:19 96:21
176:17 193:11 269:17
270:3 280:9
carefully 164:3,12
carries 91:19
carve 90:19 91:16
carved 89:17
case 13:11,13 46:22
47:5 58:21 72:13 84:5
93:9 114:5 142:9
171:11 199:20 292:15
case-driven 235:16
cases 46:8 56:13 64:20
87:16 134:19 182:19
catch 303:10,11
catch-all 91:7
catching 298:22
categorical 168:4
categories 105:9
108:13
categorized 240:21
241:12
category 107:9 203:8
caught 113:7 232:20
cause 181:18,19
caution 13:7 113:5
294:8
caveats 159:15
center 1:13 8:18 10:21
10:21 74:21 106:5
113:3 263:21 265:15
277:7
centered 113:22 123:8
CEO 2:2 44:16
certain 39:19 40:11
156:15 157:13 168:12
180:9 203:6 204:1
215:17 219:18,20
220:18 223:19 253:4
272:3,22 280:10
certainly 25:22 67:21
68:2 71:17 85:20
110:12 111:10 112:1
116:16 117:7 123:4
123:15 133:8 140:7
140:19 144:9 184:11
211:2 230:3 242:15
259:9 287:17 291:8
299:12,13,16,16
303:14
certificate 250:17
certificates 250:19

certification 245:6
certified 12:4
cetera 40:8 93:21 98:4
102:9,19 214:21
223:12 249:6
CFR 95:14
CGA 83:1,12 134:19
Chair 1:14,17 5:11 9:21
10:7 13:20 22:1 24:12
33:12 73:11 113:1,2
146:15 153:9 285:9
Chairman 62:2 71:21
104:21 109:5 113:6
139:5 140:9 151:1
152:16 235:5 239:17
chairs 30:3,4 32:6
103:14,19 170:3
239:1,2 282:13
283:15,21 284:2,19
293:4,18 296:2 298:5
298:9 302:6
challenge 95:4 201:17
202:1
challenges 41:19 50:12
52:18 69:3 184:12
201:15 202:11
challenging 196:2
chance 288:20 291:21
change 47:18 60:5
64:16 88:11 91:8
287:16 301:2
changes 100:17 288:6
changing 99:19
channels 216:10
characterization
200:15
characterizations
200:2
characterize 247:10
259:13
characterized 58:16
chart 40:17 41:6 42:2
42:21 43:21 50:9,19
84:16,17 85:21 86:3
94:11 96:8 109:18,22
110:1,11 293:7 297:7
charter 74:9 112:4
143:19,20
check 152:12
checkpoint 296:1
Chief 2:13
chill 150:7 222:5 295:14
chilling 269:11
chime 37:13 73:11
chime-in 197:4 219:2
259:7 302:16
choice 48:9
choose 57:7 70:8

272:13
chose 46:16
Chris 141:20 142:19
183:16,16 202:15
204:10 206:16 217:1
219:8
Christie 3:4 5:7 21:11
21:22 24:5 29:1 37:6
37:11 38:3 85:10
110:22 122:19 170:3
213:5 214:9 248:22
249:16 283:3 286:12
Christie's 288:17
Christopher 2:16 17:21
circle 62:1 277:11
circumstance 176:8
cite 157:19
citizen 54:4
City 255:3
clarification 141:11
180:20 196:5
clarifications 86:13
292:12,14 301:16
clarified 146:11 292:18
clarifies 140:19
clarify 30:12 36:2 86:6
86:10 131:17 132:2
142:12 301:5 302:22
clarifying 111:1 181:3
clarity 75:13 277:22
286:19 302:2
class 54:4
classes 70:6
clean 83:19,20 291:15
clear 11:12 31:6,6,7
55:7 78:12 97:3 101:7
111:18 129:14 141:16
142:21 168:16 169:13
172:14 185:9 202:20
232:2 252:22 281:20
295:2
clearer 128:9
clearinghouse 83:21
84:6
clearly 9:17 94:10
97:18 100:22 132:2
146:20 233:15
Cliff 3:10 52:5 58:15
189:4,4 229:4
close 23:22 131:16
182:21 192:15
closed-door 268:8
closely 67:16 218:10
closer 185:1
closing 4:20 26:17
cloud- 231:16
cloud-based 224:15
225:8,18 229:8 233:2

- clunkier** 29:10
clunky 18:19 19:12
co-chaired 39:15
co-run 42:9
coalition 2:12 53:19
 74:8 144:11
coating 204:5
code 163:12 251:22
 252:11,13
codes 168:5 265:12
cognizant 19:18 35:21
 222:11 252:16 278:12
 290:11
coined 279:12
cold 76:16
collaborate 79:12 81:10
 93:21 210:12 268:1
collaborating 304:11
collaboration 270:4
 294:14
collaborative 6:6 8:10
 20:22 141:2 293:11
collaboratively 20:4
 81:7 215:14
collect 69:9
collected 121:7 257:17
 270:6
collection 7:22 269:4
college 70:6
color 265:12
combination 290:2
combine 50:16 136:14
 138:22 139:1 140:8
 186:20
combined 154:10
 296:10 297:2
combining 136:8
 138:17 175:21
come 15:13 16:6 26:15
 33:9 59:12 63:7,10
 78:1 82:10 84:1 86:19
 112:22 138:22 152:10
 152:11 153:17 159:13
 186:6 190:15 195:10
 204:2 206:2 214:6
 218:6 227:9 233:9
 257:14 273:8 279:11
 287:19 290:16
comes 13:8 23:5 56:10
 66:8 69:7 106:7 127:8
 131:5 143:2 170:12
 197:7 214:20 272:17
 295:1
comfort 157:22 169:22
 238:18
comfortable 73:22
 98:17 103:15 109:8
 220:19 275:6
comfortably 221:4
coming 26:5 125:4,6
 151:2,15 159:9
 160:19 200:17 201:6
 210:9 233:3 253:20
 300:8 302:3
commences 90:5
commend 23:20 211:6
commensurate 57:12
comment 18:16 34:18
 34:21 35:3,16 37:9
 46:2 50:10 51:14 52:4
 56:3 80:6,7 81:18
 82:13,17 83:13 95:1
 95:12 101:15 109:11
 122:21 124:15 138:6
 139:5 149:5 155:18
 156:2,18 161:7
 162:13 172:3 174:2
 176:10 179:5,10
 189:5 213:6 214:9,10
 215:2 219:6 225:14
 226:20 227:7 231:13
 270:18 284:11
commenters 68:7
commerce 93:13
commission 1:17 2:15
 15:8,9 38:9 216:4
Commissioner 5:10
 13:21 15:7 49:8,13
 151:4
commitments 30:4
committee 4:3,6,19 5:6
 5:15 6:4 7:9 10:2
 13:22 15:5 18:5 25:11
 29:17 30:10 31:7
 33:10 35:19 38:12
 42:6,14 47:1 48:9
 61:5 67:8 68:7 70:2,7
 70:8,17 74:4 79:11
 84:21 87:2 99:7 105:4
 116:12 133:8 144:10
 148:14 151:7 194:15
 196:10 208:18 211:13
 232:3,4 236:7 242:12
 246:14 250:9,12
 263:19 274:12 281:7
 282:16 287:9,14
 288:15 289:3 290:3
 291:18,22 292:19
 295:3,7,7 296:11,12
 296:13,17 297:16
 298:2,8 299:4 301:5,9
Committee's 195:13
 292:9,17
committees 23:17 79:5
 246:19
common 69:13 82:18
 107:7 113:4 133:9
 136:12 175:12 176:15
 179:14 180:3,7,13
 182:12 192:3,3,4
 193:9 247:3 269:12
 269:12 304:11
commonalities 160:5
commonly 163:13
communicate 55:12
 176:13 221:4 253:18
communicating 176:12
 279:14
communication 141:18
 205:12 222:1 260:1
 265:21 279:2
community 105:11,20
 108:17 110:3 111:3
 206:22 207:2
companies 60:18 61:9
 90:15 106:15 107:5,9
 244:6,6 247:21,22
 248:16
company 197:13
 212:12 221:3
compare 74:22 194:6
 278:2
compared 199:17 203:7
 221:12
comparing 139:6
 191:15 192:1 197:1
 197:19 203:12 250:9
comparison 171:7
 192:16 196:7
comparisons 196:7
 203:17
compatriot 113:15
compelled 155:3,8
 191:22
compendium 107:15
competency 4:11 188:6
 188:18 242:3,13,19
 254:15 262:9 294:1
compilation 138:2
compile 248:17
complement 234:11
 268:1 281:19
complementary 88:13
complemented 234:15
completely 48:3
completion 250:17
complex 202:2
complexity 201:22
 223:20
compliance 23:3
component 33:1
components 118:20
 215:12 289:6
computer-based

- 248:11
concentrating 204:17
concept 72:7 106:4
 122:3 138:14 271:9
 271:21
concepts 132:21
 175:18 182:7 285:3
concern 51:5 61:10
 96:17 99:16,19 198:6
 232:14 234:4
concerned 221:19
concerns 30:14 58:14
 58:16 62:8,16,22 63:2
 63:18,20 77:16 79:22
 84:17 86:18 97:2
 170:6 182:8,16
 202:18 235:2,19
concisely 30:10
conclude 24:1
concluding 262:14
conclusion 73:16 204:3
concrete 62:22
conditions 91:6 150:3,4
 204:4
conduct 250:11 251:22
 252:11,13
confer 298:3
conference 10:21 273:9
confidence 53:3 64:17
 75:10
confidential 56:19
 243:12 257:2
confidentiality 40:3,5
 56:8,13 64:15 66:12
 76:5 78:17 88:18 89:9
 94:3 185:12 213:15
 220:22 240:22 241:13
 244:21 245:4 249:5
 251:1 256:4 269:2
 276:22
configuration 121:14
confirmation 89:20
 98:19
conflict 64:20
conflicts 67:1
conformance 115:20
 121:10
congratulations 283:5
Congress 45:8 47:15
 48:15 73:1 88:8 92:9
 92:11 93:9 100:20
 101:7
congressional 87:21
 92:19 93:5 94:13
 203:20
connection 88:7 114:6
 129:8
connections 299:10

cons 49:4 68:9 70:10
86:4
consciously 199:2
consensus 52:3
consider 6:4 30:18
49:11 53:5 69:11,20
92:12 112:16 154:9
160:16,20 161:14
167:19 170:10 171:10
175:21 178:12 186:9
187:4 191:15 192:17
194:10 195:4,12
205:11,18 206:20
207:15 208:3 209:7
212:9,15 218:2
219:10 227:17 228:7
249:9 268:3 274:13
295:5 298:12 299:12
considerable 20:9
73:19 86:15 260:6
consideration 49:12
86:1 111:16 121:18
164:7 234:20 288:3
292:17
considerations 41:19
86:20 181:11 230:19
considered 58:19
134:13 167:2 171:8
188:15 202:1 206:5
207:20 220:5 230:6
233:13
considering 54:20 69:3
73:6 191:13,17
192:19 247:7 287:2
considers 68:9
consist 166:19 235:13
250:3
consistent 97:12 118:2
159:5 179:20
consolidate 291:21
consolidated 29:13
36:21 288:4 297:13
constituencies 246:10
construct 132:1
Consultants 2:3
contact 216:11
containing 235:14
contemplated 94:7
content 208:14 244:10
244:11 249:18 259:7
259:11
contention 193:14,15
CONTENTS 4:1
context 30:19 108:14
184:17 219:18,21
225:5 228:1 229:13
234:10 261:8 276:15
283:22

contexts 276:14
contextualizing 285:1
285:22
continuation 27:4,9
continue 22:20 26:8
42:18 44:19 45:15
104:4 109:6 122:18
129:16 154:6 225:1
236:3,4 259:17
264:16 304:2
continued 4:14 103:13
222:1
continuing 224:21
240:7
continuous 116:3
122:3 125:3 160:22
162:7 188:17 192:10
194:10 195:11 197:16
202:22,22 203:2,21
209:10 210:13 217:11
277:5
contours 163:20
contract 43:11 44:12,16
contracted 40:1
contractors 43:11 92:2
contracts 40:7
contribute 101:21
268:12
contributed 130:9
184:11
control 124:3 237:14,14
270:22 271:5,7,8,15
276:19
controversial 19:20
32:14
convenient 272:7
conventions 168:20
conversation 67:11
196:12 236:22 242:8
258:6 269:20 270:10
276:4 284:4 290:18
conversations 30:7
289:4
convert 75:16
converted 149:14
convey 147:16
conveying 119:3
copy 29:12 37:17
285:15
core 20:5 50:18 51:4,11
51:16 62:8 63:17,19
76:4,8,9 77:18 109:3
119:1,2 233:7
corner 26:14
correct 36:16 87:2
174:21 236:21 285:11
corrected 90:2
correction 95:16

corrective 91:20 95:6
correctly 21:20 36:14
40:4 199:18 274:22
correlation 244:12
261:1
corrosion 187:3,9
cost 56:22
Cote 17:1 98:15 161:12
279:7
Council 3:10
counted 265:14
couple 20:21 56:6
64:22 76:4 81:20
106:18 149:21 154:9
154:11 175:7 211:1
211:12 213:21 220:14
229:14 254:17 296:18
course 10:13 48:13
49:6 56:15 67:18
68:22 73:21 138:15
154:21 155:7 171:2
171:10 184:20 185:16
236:11
court 304:6
cover 8:14 12:20 25:5
30:7 99:18 111:6
266:14
covered 10:12 40:9
43:13 98:19 187:2
covering 259:8
covers 59:6 99:16
cozy 16:8
CPR 12:4,4
crack 199:10,14 264:3
Credit 2:1 17:1 224:10
228:20 231:3,6
236:21 237:6
craft 164:17
create 59:1 94:16 96:14
105:11 107:15 114:4
184:17 217:19 244:8
created 63:5 76:20
93:18
creates 59:1 158:12
184:12
creating 58:9 106:5
142:6 157:4 202:3
206:16
creation 142:7
creative 57:8
creatively 57:6
credible 158:11,11
credit 153:3
criteria 192:20 243:13
critical 53:17 102:13
176:14,22 221:7
291:2 293:16 294:4
Crochet 3:8 14:19,19

204:13,15
cross 236:10
cross-conversations
282:14
cross-overs 77:1
crossover 299:18
crunch 22:15
crystal 288:17
culture 91:8 113:18
cumbersome 181:6
curious 98:15 254:19
current 64:18 88:9
154:1,18 172:21
230:8
currently 262:1 265:7
cut-and-paste 277:7
cuts 49:17
cycle 265:16 277:6

D

D.C 1:13 11:1
DA 143:1
damage 55:20 83:21
Dan 17:1 36:15,16
98:15 99:3 294:2
dangerous 132:9
dark 144:20
data/information 262:4
database 223:8,18,20
275:4
datapoints 173:16,19
188:16 209:9
dataset 171:2 180:13
192:22
datasets 238:12
date 89:20 297:10
dates 290:20 291:5
297:7
day 19:14 65:19 86:11
151:3 160:20 182:22
290:8 294:3 298:6,7,8
301:6,6 304:15
day-by-day 210:4
day-in 177:19
day-out 177:20
day-to- 65:18 86:10
day-to-day 64:7 65:17
65:20 66:1,3,4,7
226:7
days 29:18 95:7 154:3
224:20 225:4 241:5
287:16,18,20 288:16
289:2 290:3 297:17
299:4 300:1 301:5,8
de- 251:1
de-identification 185:9
236:20 276:22
de-identified 75:11

- 250:13 277:13 278:9
deadlines 24:20
deal 78:1 95:10 100:4
158:10 161:20 201:16
250:21 304:4
dealing 202:2 254:2,3
deals 88:15,20 89:6
92:5 236:19
deaths 55:20
debate 70:17,21 84:3
193:19
debrief 303:8
December 24:2 226:18
290:1,1
decide 16:10 34:1 70:2
70:11 79:7 146:22
226:13 272:5 290:20
292:4,20 295:4
decided 60:3 91:16
116:18 220:10
deciding 41:17
decimal 173:9
decision- 65:4
decision-making 53:21
65:11,15 66:4,19,22
decisionmaking 298:13
decisions 65:17 86:8
86:10,11 193:17
290:10
dedication 151:5 304:3
deems 96:14
default 163:20
defect 168:15
defer 225:12 272:4
define 97:19 100:22
110:16 166:3 167:22
168:3 188:20 222:22
233:19 236:8 243:9
defined 95:14 114:8,9
147:8 166:19 171:3
186:9,13 187:6
226:17 271:22
defining 112:10 130:1
137:4 141:11 146:18
146:20 251:9 259:14
definitely 241:8 275:1
definition 188:5
definitions 162:2
168:21 191:15 196:11
degree 105:7
degrees 250:14
delegate 46:16
deliberate 303:8
deliberative 56:20
103:16
delineation 75:9
deliverabilities 214:6
deliverables 282:19
- delivered** 153:20
170:12,19
delivery 153:19 178:14
delving 160:2
demonstrate 262:20
demonstrated 275:7
Department 1:1,13
10:20
depending 35:14 79:2
84:21 97:1
depict 297:7
depicted 7:11 119:17
depiction 230:13,22
depicts 108:20
depth 187:4
Deputy 21:17
derive 112:3 202:22
derives 253:13
describe 27:10 123:6
199:6
described 45:7 114:2
206:18,21
describes 85:21 247:6
251:14 260:16
describing 118:22
description 235:6
264:1 280:17
descriptions 243:9,13
deserves 153:2
design 114:3 207:22
257:17
designate 302:10
designated 3:5 5:8
108:10 283:13
designed 207:7 208:16
designee 30:3
designer 255:22
desire 9:18 180:1,3
292:10
destructive 89:19 136:4
detail 113:7 176:5,11
177:11,22 182:4
192:1 194:13,18
200:21 202:7,11
218:7 260:11
detailed 160:13 161:4
176:18 184:16 221:1
253:19 262:8 294:9
details 43:20 67:19
112:15 162:3 194:18
278:5
detection 192:13
deter 165:9
determine 33:12 79:19
298:4,6
develop 7:7,18 29:6
96:13 134:15 188:19
195:13 249:19 254:11
- 258:10
developed 7:10 25:9
45:7 63:1 64:14 89:11
177:7 244:18
developing 58:20 66:11
136:11 138:15 146:19
146:21 196:6 201:1,7
246:21 247:19 286:21
development 6:5 45:4
57:10 112:21 130:10
133:3,14 196:11,14
200:8,9
develops 66:20
devices 9:10
devil's 218:7
diagram 106:17 108:20
177:7 230:13 260:20
261:5
diagrams 147:14
dial 6:22 202:7
dialog 86:15 127:22
240:7 292:7 295:11
299:14 300:21
dialogue 10:12 26:6
diametrically 52:15
Diane 1:14,16 5:11
13:21 15:6 21:14
25:15 27:10 32:4,14
32:15 37:2 38:10 41:3
50:8 61:22 67:7 76:2
94:21 102:20 138:9
141:20 143:5 163:22
166:7 169:15 180:22
220:12 231:19 272:15
274:11 280:9 284:17
292:22 296:7 298:3
differ 27:6 127:18
difference 38:18 42:12
46:3 47:3 48:11 51:8
65:14 66:2 74:19
130:3 138:18,18
148:14
differences 39:4 41:6
41:14 42:1,8 50:2,21
85:22 96:9
different 5:18 19:4 27:5
29:7 32:3 34:3 40:15
41:1,10 47:22 50:12
52:2 57:14 63:15 65:5
65:22 68:9 69:8,11,21
70:1 76:14 77:8 79:13
79:22 80:5,19 81:21
86:14 103:19,22
117:1,4 136:13
139:13,15,16 142:14
174:9 193:13 198:14
198:20 199:13 204:2
211:1 212:9 214:18
- 226:6 227:14 232:1
238:20 253:10,22
261:13,16 263:17
265:12,12,13 269:13
273:11 274:5 281:10
293:2 296:19 300:19
differently 74:15
288:11
difficult 202:4 288:7
290:9
dig 98:18 199:17
digest 263:2 289:3
digesting 30:13
Ding 17:2
direct 40:19,19 88:4
97:4 123:9 131:7
135:15 161:20 171:7
204:19,20 229:4
244:12 260:22
directed 11:7 38:12
123:5 125:8
direction 147:10 183:20
207:18 295:13 299:1
directions 267:12,12
directly 13:4
Director 2:1,4,5,11 3:4
disagree 229:1
disappear 73:5 103:3
disclaimer 10:19
disclosed 88:21
disclosure 66:15 78:18
disconnect 81:13
discovered 90:4 99:11
discovers 90:1,8
discovery 92:7,20
discrete 130:2,12,17
137:13 142:16 167:6
200:16 280:19
discretionary 45:11
92:12
discuss 32:12 41:4
69:1 164:2 256:22
303:5
discussed 49:22 53:18
59:19 86:19 88:7,10
114:10 115:2 137:7
271:18 276:9
discussing 73:20 83:7
102:7 105:13 150:1
298:10
discussion 4:12,16,19
10:3 19:21 21:1 22:13
29:9 34:1 42:15 48:21
49:7 53:17 54:22
59:15 111:7,12
116:16 117:10 122:5
162:13 210:1,21
211:4 225:1 260:17

275:18 280:3 288:15
293:12 295:11 300:9
303:2
discussions 103:16
148:3 161:11 179:9
188:7 207:13 271:22
294:22 295:2,15
296:16
displayed 197:9
displaying 6:22
disseminate 201:9
disseminating 137:4,17
142:4
dissemination 40:9
141:14 142:7 237:14
distance 153:17
distinction 8:7 46:21
distinctly 214:18
distinguished 225:13
distinguishing 253:10
distribution 119:15
distributions 8:6
Ditch 194:12
dive 267:7
diverse 69:5,15
docket 10:15,15,17
18:8,9 35:2
document 29:14 36:20
37:18 50:5 58:7 75:12
141:13 153:13 154:1
154:4 161:20 163:18
177:10 234:2 238:9
247:5 251:14
documents 6:18 29:22
66:11,13 103:12
115:17 149:7 165:2
226:8,9 285:12,13,14
298:1
doing 41:20 54:6 61:1
95:9 103:15 131:17
149:8 150:16 151:1
157:6 164:15,16
167:8 171:6 174:16
190:5 198:18 199:2
222:2 281:18
domain- 238:7
doors 8:19,20 11:11,12
11:13
dose 254:21
DoT 21:2 35:12 42:10
44:11 47:13 79:18
98:7
dovetail 82:7
dovetailed 51:17
dovetails 239:4
Dr 5:3 12:8,13,15 13:9
13:10,14,17,19 17:2
17:15,16 21:13 25:3

27:8,18,21 29:11
36:13,19 37:4,15,20
38:7 54:16 56:4 59:20
75:3 85:13 87:6
110:22 111:13,15,21
119:9,14 120:19
121:3,6 122:1,9,12,20
123:14 141:7,8,8
142:2,16 146:9 147:4
147:12,17 153:22
179:6 180:15 214:10
214:15 239:17 249:1
255:17 256:15,17
257:7,16 270:18
283:4 284:13,17
286:12 290:19 294:19
296:6 297:6 298:17
298:18,20 299:11
300:4 301:15,17
302:12,13 303:13
304:13
draft 35:1 69:20 80:12
80:21 98:3 118:7
128:11 153:19,20
240:8 287:20 289:20
297:22
drafted 288:18
drafting 19:9,16
dramatically 76:14
draw 107:14 118:12
drawbacks 68:17
Drew 118:12,17
Drew's 118:16
drill 98:2 271:20
drilldown 232:21
drilling 214:4
drive 158:17
driven 236:13
drives 141:1
driving 268:17
drop 12:20
due 226:18 268:7
dumping 268:4
duplicative 172:17,19
duty 100:4

E

e.g 167:22 168:1
eager 23:19
earlier 7:6 62:3 66:5
75:3 114:10 117:10
147:6 151:17 174:10
186:6 242:6 246:2
249:2 260:4 265:5
271:21 280:9 299:6
early 92:14 137:15
177:7,9 207:12 279:8
303:10

earthquake 12:19
easier 130:19
easiest 137:8
easily 34:11
east 26:2
easy 163:14
echo 59:20 75:7 96:5
156:20,22 274:20
281:6 286:14 302:17
edited 35:7
edits 35:20 179:2
educated 212:11
educating 254:1
education 243:10
effective 204:1,3,4
260:12
effectively 25:13
192:21 255:7
effectiveness 217:21
223:1
efficacy 247:22
effort 83:21 151:6
193:22 223:14 225:3
efforts 6:7 22:8 23:11
24:5 45:4 53:12
161:14 195:13 239:15
264:2
egov 18:8
eight 243:2 261:15
EIS 67:13
either 48:1,8 63:13,18
149:18 285:15 299:1
elaborated 224:19
228:16
elected 108:18
element 281:13
elements 7:12 73:5
118:20 119:2 129:4
136:12 149:18 157:11
157:13,18 170:15,22
171:17 175:12 254:8
260:8 263:18 276:16
eliminate 205:20
Elliott 22:3
eloquently 225:15
email 6:18,21 29:12
242:7 302:8
emailed 7:3
embrace 117:22
embraced 63:9 112:5
emergency 11:3,8 12:3
12:3 95:17
emphasis 160:15
185:17
employed 187:1
employees 92:2 244:19
enable 155:5 192:3
197:13 203:2 206:3

208:1 209:2 215:11
294:13
enables 222:1
enabling 97:5,13 98:4
194:9,19 233:8 252:7
252:12 257:12
encapsulate 97:19
encourage 9:13 23:21
35:16 91:3,9 131:10
157:17 238:21 299:13
299:16 302:5
encourages 6:6 7:21
encouraging 97:10
142:6 203:3
end-state 256:7,14
endeavor 160:14 176:2
178:6
endeavors 171:15
ended 72:15 209:5
ends 172:17
energy 133:1 260:4
Energy/Energy 1:18
ENet 211:1
enforced 281:9
enforcement 89:7,10
89:15 90:10,18,21
91:4,16 95:5 99:12,20
engage 10:2 53:1,22
engaged 80:15 191:20
engagement 3:5 53:8
53:16 69:17 75:19
80:17
engaging 89:10
engineer 2:13 132:12
engineering 70:6
enhance 203:15
enhanced 262:1
enhancement 88:9
enhancing 6:1 261:22
Enjoy 304:15
ensure 12:18 24:3 31:5
64:12 97:14 155:4
174:7 184:9 216:6
240:22 241:13 244:20
ensured 272:18
ensuring 213:14 240:3
entire 44:8 128:2 261:7
274:12
entirely 224:15 225:8
233:2
entities 79:10 95:11
265:7,13,22 270:21
271:11 274:16
entity 68:4 69:9 272:21
environment 8:10 59:2
84:8 197:13 206:6
236:13
environmental 55:20

envision 41:15,16
 162:6 196:21 210:10
envisioned 27:1 88:5
 117:6 127:4 130:8
 197:18 219:3
EPA 204:3
equal 38:20
equipped 11:2
equity 56:18 57:17
Eric 1:17 16:13 17:17
 113:1 151:20,22
 152:4 239:19 241:22
 242:1,6,7,9,14 258:22
 259:2,4,11 299:6
Erin 3:13 15:22 62:1
 124:10,12 127:2,22
 156:18,21 158:19
 160:18 174:5 199:5
 266:19,20 274:11,20
Erin's 196:15 271:17
error 171:9,10,11
escort 9:3 25:20 26:3
especially 19:2 50:13
 51:4 90:3 96:18 143:9
 143:14 164:6 201:2
 220:21 239:5 255:20
 257:12 267:3 268:20
 277:17 290:12 295:18
essence 253:21
essential 76:12 102:22
 113:17 118:20,20
 170:11,14,15,22
 171:16 173:14,15
 176:6,14 226:1
essentially 38:14 39:3
 46:10 124:6 141:14
 227:11 245:21 276:12
establish 14:6 93:14
 101:1 192:2 211:22
established 18:3 66:16
 89:12 213:10 223:4
 234:11 244:2 258:10
establishes 91:19
establishing 108:17
 214:12
et 40:8 93:20 98:3 102:8
 102:18 214:20 223:12
 249:5
evacuate 13:1
evacuation 11:8
evaluate 223:4
evaluated 126:1
evaluating 195:5
evaluation 89:19
 106:14 107:5 116:10
 136:4,17 244:18
 245:4,9 264:4
evening 303:4,10

event 12:1,2,21 13:13
 91:11 99:9
events 91:6 253:17
eventually 125:1
 180:17
everybody 24:15 84:16
 85:14 124:22 151:6
 153:5 175:20 191:6
 227:22 256:18 286:11
 287:11 291:16
everybody's 169:22
everyone's 61:19
 258:16
evidence 92:8
evolution 74:3
evolve 124:4 137:12
 164:6 208:22
evolved 74:3
evolves 258:12
exact 228:19
exactly 54:12 96:18
 139:20 140:15 157:7
 159:10 160:12 205:15
 208:16 212:18 215:8
 215:19 231:6 293:9
 294:7
examination 64:3
examining 200:16
example 32:21 66:14
 83:6 99:7 133:6,21
 134:18 171:6 173:8
 173:11,11 186:21
 187:3,9 192:6 193:8
 197:5,16 208:21
 210:14,18 211:2
 217:5 273:18 286:19
examples 64:22 123:13
 134:19,21 192:11
 199:20 227:19 228:8
 299:18
excavations 130:13,15
 143:2
Excel 283:11
excellent 49:19 264:9
exception 46:13 89:3
exceptions 89:13,14
 100:1
eXchange 273:9
exchanged 207:16
excited 22:9,12,18
 67:16
exciting 163:18
excuse 115:19
executed 31:4
executing 226:8
execution 226:5
executive 39:8,14,15
 40:19 42:22 44:15

46:9,15,15 47:1,1
 61:5 65:3,3,7,13,18
 66:10,16,20 86:9
 147:10 245:7 273:19
exempt 90:21
exemption 92:20
exercise 82:22 233:21
 273:3
exert 47:13 83:17
exist 48:18 71:6 137:18
 163:16 217:5 219:13
existing 48:12 64:3
 68:5 88:11 99:19
 132:22 139:17,19
 218:4 259:16 261:22
exists 119:21 265:19
exit 8:18 11:16 303:11
exits 11:9
expand 261:6 280:8
expanded 260:8
expands 261:10
expansion 207:7
expect 80:15 117:20
 209:1 293:17
expected 125:2 163:16
experience 18:21 56:12
 243:11 262:3 274:1
experts 175:18 191:20
 226:11 233:16 244:5
 250:4
explain 63:7 156:5
 157:7
explained 278:16
explaining 140:22
explains 166:8
explanation 183:8
explicit 147:7
explicitly 122:11 123:3
 125:14 129:4 181:16
export 267:9
exported 268:10
expressly 181:16
extending 208:12
extensive 59:15 112:15
extent 19:3,11 29:5
 35:18 41:13 51:9,20
 78:7,16 79:1 94:14
 97:12 98:1 100:15
 103:12,17 104:9
 123:16 128:7 134:1
 141:2 143:12 155:19
 155:21 157:17 159:20
 170:1 215:18 234:6
 234:17 240:5 265:19
 266:8 267:18 269:3
 269:19 279:9 284:1
 290:14 293:22 297:3
 303:3

external 117:2 187:3,9
externally 220:6
extract 157:18
eyes 84:17

F

FAA 20:11 43:10 48:5,8
 64:4 78:3 89:5 94:2
 104:7 118:19 199:9
 254:19 255:16,21
faced 188:12
facilitate 8:11 19:5
 65:18 79:17 81:1,17
 143:13 174:14 255:22
 264:16 273:20 284:4
 299:20
facilitating 19:16
facility 6:10 108:10
fact 19:18 20:20 72:9
 91:5 117:19 118:11
 118:15 134:14 140:7
 145:21 147:5 148:2
 152:20 187:5 217:1
 252:16 266:22 278:16
 290:11
factor 79:5
facts 89:11 90:19 92:3
failure 53:15
fair 12:11 48:20 111:22
 113:11 126:6,16
 129:10 139:2 183:9
 194:6
faith 23:15
fall 97:6 176:4 286:4
fans 200:3
far 24:21 67:14 82:11
 124:22 155:11 181:18
 247:14 248:21 255:4
Farg 2:2 17:2,3 82:16
fashion 20:17 35:9,17
 41:14 156:10 174:19
 281:14
fashioned 268:1
fast 275:13
fastest 90:13
fatigue 23:17
favorably 63:15
favorite 115:17
fear 90:17 91:4
federal 3:5 5:6,8 39:8
 56:21 86:8 90:7,18
 94:1 144:12 145:10
 290:22
federated 270:19
 271:13
feed 183:20
feedback 6:8 30:11
 79:9 105:3,7 107:10

- 148:22 190:6 209:1
225:1 228:21 229:10
229:19 230:3 231:4
238:19 239:13 288:3
291:22 293:13,18
303:14
feedbacks 204:2
feeding 210:13
feel 9:19 16:6 54:3
70:19 103:14 109:8
155:3,8 156:16
161:22 182:19 188:12
188:18 191:22 194:6
218:5 259:6 275:5
282:3
feelings 63:13
fees 69:8 71:10
feet 208:2
fell 104:1
felt 72:10 93:6 142:4
217:7 219:11 223:15
fenced 40:14
field 155:7 186:10
215:13
fifth 107:9 259:22
fight 12:22
figure 37:22 48:19
72:18 77:12 122:7
129:3 225:22 249:3
272:8 277:11,18
figures 147:14
file 186:16
fill 188:17
filled 24:9
final 69:20 70:5 203:19
230:11 289:20 301:15
finalize 303:4
finalized 290:13 302:1
finance 57:6
financing 57:8,15
find 8:22 23:11 49:3
62:10 64:18 115:10
161:6 188:19 296:20
finding 83:15
finding/sizing 203:6
fine 24:17 146:5 269:19
fine-tuned 81:6
fine-tuning 82:5
FIPS 226:14 240:21
firm 56:19 67:13
first 12:21 31:11 36:11
56:7 63:5 76:19 77:3
96:6 105:10 107:21
108:16 111:2 137:7
153:19,20 154:14
155:9 161:5 175:2
194:17 214:11 243:8
259:14 260:2,11
- 261:13 290:8 297:1
298:6
fit 100:1 105:9 164:13
218:3 249:8,12 289:1
fits 68:19 79:8 97:1
146:21 148:15 241:16
five 7:3 10:11 40:1,13
44:2 105:9 108:13
259:12
five-minute 84:12
fixed 227:10
flag 37:21
flavor 98:4
flaw 199:18
flesh 104:9 194:15
209:18 226:22 239:3
292:11 299:15
fleshed 148:16 214:7
fleshing 86:16 293:6
flexibility 159:21
175:13,14 184:13
232:10 252:22 294:10
flexible 33:21 102:11
290:7
flights 303:10,12
flip 277:4
flipcharts 285:10
flipped 277:18
flipping 41:7
floated 22:13
flow 167:3 183:17
260:15,20 261:5
265:15 266:7 278:18
flowchart 251:13,13
flowed 294:1
flows 162:4 293:19
flu 57:19
flushed 32:11 67:19
fly 124:14
focus 20:10,20 21:6
25:5 30:17 34:15 76:3
103:22 111:3 130:17
142:4 143:1 155:19
156:7 159:19 169:20
207:14 208:19 229:6
232:20 266:10 269:13
284:22 294:8
focused 21:8 29:3 77:2
77:3 105:22 106:18
130:5 189:18 190:2
207:10 224:9 232:7
251:22 294:3 295:8,9
focuses 106:21 130:1
focusing 20:1 51:5
128:3
FOIA 89:4 92:20 93:2
fold 50:22 51:13
folded 213:19
- folding** 267:15
folk 15:14
folks 16:5,12 18:10,13
18:14,19 19:1,4 41:16
59:9 60:13 61:21 68:7
76:3 77:18 78:8,20
79:2,10 81:7 85:3
94:22 97:2,15,16 98:4
103:10 109:7 148:20
156:11 160:3 169:18
170:1 181:6,8 190:1,1
220:18 238:21 270:11
281:16 284:2 289:14
293:2,13 300:22
302:8
follow 11:14 36:22 38:2
150:6 159:4 236:22
272:3
followed 21:17 120:11
following 23:3 37:5
67:16 236:17
follows 90:6 186:5
followup 117:9
food 41:3 103:8 148:11
170:4 214:8 270:13
282:8 293:5
footnote 129:3
foregoing 190:16
forgot 82:12 286:19
300:15
forgotten 58:3
form 69:8 150:9 251:16
251:17 272:3
formal 98:7 290:12
formalize 115:7
formally 24:16 154:18
format 179:19 180:18
250:7 275:5
formats 168:5 172:13
formatted 238:9
former 151:3
formulated 38:16 230:7
forth 32:17 41:7 106:10
106:20 138:22 196:14
209:5 217:6,12 248:1
262:5 264:13
fortunate 182:19
forum 32:2
forward 19:19 20:4,16
21:9 24:18 27:22 29:4
32:5 33:8 34:4 63:7
70:12 74:9 87:1 88:5
96:18 104:7 119:1
134:17 162:9 167:17
169:1 181:20 194:22
198:8 202:6 207:5
234:16 237:20 240:8
275:14 282:11 283:1
- 284:20 287:19 292:5
295:19
foster 243:13 259:17
265:21
found 95:9 142:17
199:10 276:13
foundation 22:22 120:9
275:17
foundational 187:13
188:13 194:8
Founder 2:11
fountain 11:20
four 30:17 39:8,12
89:13,16 243:6
284:21
fourth 107:6 114:22
243:6 245:16 259:19
285:18
frame 52:2
framed 252:2
framework 51:11
119:16 164:10,10
165:3 233:19 240:22
241:13 249:9 257:14
276:13
frank 268:8
free 9:19 16:6 259:7
freely 59:3
Freeman 3:9 14:15,15
Frequently 247:5
fresh 180:1
Friday 302:20 303:5,7,8
303:12
frightened 61:14
front-end 183:8
frontier 149:10
fruit 208:21
fulfill 5:21 171:15
full 142:4 155:5 192:22
237:16 285:6,16
289:3,5 296:17 298:8
299:3 300:5,6 303:2
fuller 19:21
fully 43:20 53:1 57:5
63:9 68:8 183:6 258:1
288:18
function 117:16 127:7
147:9
functioning 20:5
functions 43:5 64:12
65:19 226:11
fund 48:19 71:5 72:14
94:8
fundamental 74:19
210:4 276:16
fundamentally 243:2
funded 42:11 44:11,15
48:8 76:21 83:2,4

100:19 101:17
funding 4:9 20:7 33:4
 45:3,12,15,19 48:14
 49:3,15 51:10 69:5,6
 69:9,17 71:5,7,14
 74:6 77:20,22 78:4
 86:2,14 87:10,13
 92:10 94:4 100:14,18
 100:21 101:1,6,16,22
 102:8,10,15,17,22
 242:22 254:6,9,10,12
funds 45:9 71:11 92:12
further 32:16 38:16
 101:19 170:21 198:13
 224:19 269:11 293:12
 303:4,8
furtherance 93:10
fuse 50:15
future 55:5 188:21
 196:22 208:4 226:1
 228:17,17 274:4

G

gain 170:18 171:13
 246:13
gap 197:10 210:15,15
 210:15
gaps 188:17 195:9
 198:15,16 205:12
 217:20 262:5
garner 207:16
gas 2:1 3:13,16 6:9 8:2
 8:2,2,6 15:20 16:1
 67:8 124:13 281:2
gathered 162:4
gathering 175:4
gauge 187:4
GE 1:19
geared 242:22
general 1:18,21 9:5
 72:7 89:14 249:2
 254:4 255:20 263:19
generally 154:8 173:7
generates 221:3
generic 96:19
gentleman 229:2
gentleman's 281:6
gentlemen 224:13
 225:2
getting 10:1 20:2 22:14
 25:21 28:10 60:6
 63:12 98:2 134:20
 166:10 172:9 174:14
 176:20 181:17 190:6
 192:22 193:12 200:14
 215:4 288:13 293:18
 301:22
giant 198:4

give 9:22 25:7,13 30:10
 39:14 41:3 60:15 62:4
 64:22 72:2 80:20
 81:21 85:10 93:9
 98:10 99:22 113:9
 123:13 132:8 146:16
 148:22 160:4 170:4
 175:14 217:8 219:19
 285:14 288:7,12
 289:2 290:22 291:20
 297:17
given 52:19 88:4
 121:18 187:1 192:13
 217:5 282:2
gives 65:9,12,18,20
 66:14 164:9 203:14
 208:20 291:15
giving 88:16 181:10
 257:13 274:14
glad 14:3 179:2
globally 222:16
goal 50:18 75:22 93:11
 198:8,8,10,13 220:20
 221:5,22 222:5
 304:12
goals 76:10 88:16
 221:20 233:8 294:12
gold 275:15
good-faith 100:4
 193:15
goodness 53:4
goodwill 55:13
gotten 195:21
governance 33:1 96:13
 114:9 117:10 146:22
 147:7,8 148:3,10
 185:11,14 210:2,6
 212:3 213:9,17,19
 219:12 236:6,11
 239:5 250:12 252:8
 259:21 269:7 276:8
 276:17 293:16 294:2
 294:3 296:12
governing 66:11 148:6
government 52:16 83:5
Government's 87:18
GPAC 18:22 34:13
graciously 12:15
grammatical 31:14,16
 31:19
grant 57:9,11,12
graphic 74:21 265:6
 266:5 277:8
graphics 74:17 278:17
grasp 181:6
grateful 151:5
greater 54:6 273:22
Ground 69:14 82:18

133:9 247:3
grounding 183:1
group 1:6,12,20,21 2:17
 5:5,12 6:12 7:5,7,10
 7:15 14:11 15:10 18:5
 22:12 23:18 24:17
 29:13 31:8 33:18
 44:22 51:18 56:15
 60:3,12 62:9 63:3
 64:7,7,8,8 67:2 68:5,5
 69:5,7,9,15 104:21
 105:19 107:6 108:21
 112:18 121:21 136:10
 153:8 193:12,19,20
 196:20 200:6,7 201:3
 206:15,17,17 209:14
 210:3,8,19,22 217:10
 218:8,12,17,19 219:3
 219:11,13,20 221:16
 222:3 258:21 273:12
 275:16 280:18 287:1
Group" 217:20
group's 22:7 35:4 64:2
groups 23:17 46:10,19
 47:2 51:21 62:4,12
 63:15 65:22 83:16,22
 84:7 107:8 144:8
 145:6 209:14 210:22
 247:22 267:4 269:2
 272:4,11 273:14
 274:5 285:20
grow 60:5
growth 199:18
guarantee 31:7
guaranteed 56:8
guaranteeing 56:13
guess 24:8 43:19 45:14
 70:15 95:12 98:17
 99:14 131:5,8 153:9
 184:21 196:15 209:3
 215:2 218:18 239:14
 255:3,6 256:14
 267:12 285:18
guessing 172:10
guest 26:2
guidance 4:7 25:14,16
 257:18 281:9 294:19
guide 23:11 275:22

H

half 194:17
half-day 303:6
hall 12:7,8
hallway 8:21,22 11:14
hand 34:6,10 37:1
hand-raising 36:9
handed 215:22
handle 10:1 25:16

28:12 250:12
handled 254:20
handshake 215:8,19
 216:8
hanging 208:21
happen 33:12 101:7
 199:20 291:7
happening 55:16 268:6
happens 100:3
happy 9:8 10:16 12:6
 24:18 26:4 38:1
hard 20:22 23:15 37:17
 63:13 73:4 95:10
 295:21
hardcore 19:10
harkening 200:22
harness 165:8
harnessing 274:4
hat 58:22
hate 157:14 231:15
hazardous 1:3 6:10 8:3
hazards 13:3
head 57:20
head-on 281:14
headed 25:20 84:22
 126:12
headquarter 12:17
heads 81:10
healthy 193:18
hear 9:16 20:3 25:6
 27:11 30:2,8 32:20
 36:10 102:21 121:5
 138:10 153:5 179:3
 230:2 299:21
heard 56:18 62:14
 71:18 74:15 75:15
 80:19 91:9 107:12
 158:6 169:17 196:4
 202:18 207:10 247:1
 271:21 279:7 283:14
 283:17 285:19 292:19
 299:18 300:3
hearing 71:18 231:22
 276:3
heart 165:16 172:7
 233:7
heavily 255:21
hello 24:13,14 63:21
help 8:11 9:8,16 19:16
 20:15,18 21:1 25:21
 25:22 26:3 30:12
 75:21 81:16 84:9
 119:9 132:3 133:14
 140:19 143:13,17,22
 162:2 166:2 174:14
 175:6 177:8,13 184:6
 184:14 201:13 209:9
 216:14 233:19 274:2

286:9 293:19 299:14
299:20,20
helped 20:14 81:1
142:12 284:3
helpful 27:19 28:11
29:6 36:1 41:5 42:18
47:9,10 50:5 51:1
61:20 79:8,14 81:13
83:10 84:4,4 91:2
92:3 96:10 102:2
103:20 104:8 119:7
127:19 143:15 147:15
148:13 156:13 170:6
181:13 182:5 189:16
198:2 234:20 235:11
252:4 266:9 267:20
283:21 285:7 286:5
287:1 290:18 294:7
295:18 297:4,5
helping 19:5 24:19
76:10 147:15 221:5
284:4
helps 81:6 142:20
167:3 173:20 180:20
219:15 256:13 266:6
278:17,18 294:15
hesitant 52:22
hesitate 16:10
Hevle 118:13
Hevle's 118:17
hey 43:7 98:14 142:1
174:3 189:20 216:13
249:1 280:12
hi 28:1 41:2 146:9 193:6
284:17 301:17,17
hide 12:22
high 46:2,11 57:1 65:1
107:20 108:13 131:11
137:10 260:15
high- 130:11
high-level 280:13,17
higher 184:15
higher-level 98:1
202:10 232:8 257:11
highlight 7:20 41:14
highlighting 41:22
highlights 85:21
highly 54:18 283:18
highway 56:22
highworking 52:19
hinges 55:11
hiring 243:13
historically 211:9
hit 279:6
hold 10:5 12:20 33:15
110:17 122:4
holding 97:15
holes 266:9

holistically 51:22 158:2
Holly 17:14
home 141:1
homework 62:5 81:22
190:5 287:7
honest 58:19 61:15
hook 199:14
hopeful 163:17 293:10
hopefully 24:20,21
85:14 151:17 201:7
283:14 286:7
housed 78:10 227:18
housekeeping 8:14
HQ 1:13
hub 106:7 110:2 113:22
114:4 130:2 136:17
141:12,17 143:1
218:20,20,21 219:10
219:10,19 220:4,8,10
224:15 225:8 228:7
233:2 235:13 236:16
237:13 244:19 248:5
265:20,21 272:7,10
272:10 286:21,22
Hughes 203:9
hungry 189:12
hybrid 58:13 59:5 83:7
86:17 94:12 292:8,16
hybrids 296:19
hydro 204:20
hydrostatic 123:10
204:18
hypothetically 197:10
216:1

I

IAP 75:5
IAT 248:5,6
ID 218:5
idea 49:10 59:5 62:6
63:17 72:9 95:19
101:5 113:22 130:16
133:12 137:7 167:6
171:15 198:7 206:3
206:15 207:22 209:7
209:10,14 217:1
221:10 225:19 231:7
271:10,19 280:7,11
280:19
ideas 22:13 54:8 110:11
192:1 198:21
identifiable 221:2
222:18 272:19
identified 185:10
220:17 245:3 246:7
250:13
identified/perspective
205:13

identify 45:20 51:20
117:13 170:5 198:15
201:17 204:1 217:20
217:21 233:15
identifying 201:22
221:9,21 234:18
251:2 252:3
ILI 74:11 89:18 98:18
99:5 106:21 107:3
115:9 117:12 123:8
130:6,13,14 138:16
138:19,20,21 142:15
142:16 143:1 155:2,6
158:21 162:12 167:7
168:2 171:7 177:21
187:15 192:2,18
193:16 194:11 198:13
199:15,17 200:3,4,13
202:18 204:4,4,17
207:9,11,14,19 208:3
208:13 214:20 215:20
244:5 247:21 253:13
253:20 279:16
ILIs 207:4
illuminates 198:6
illustrate 265:18
illustrates 265:6
illustrious 13:20
imagine 66:12
imagined 72:8
immediate 95:16
immediately 8:19 11:11
90:4 100:4
impact 230:14
impacted 119:17
imperative 56:18
implement 116:19
130:21 154:18 163:4
201:19 226:12 256:9
256:10
implementation 115:21
117:20 121:11 128:22
201:14 232:12 257:19
implemented 40:4
163:4 258:1
implementer 66:7
implementing 158:1,2
226:9,16
implications 86:5,14
importance 141:1
144:5 177:14
important 23:13 30:17
35:8 53:11,14 57:17
62:9,21 63:16 64:12
68:6 69:18 70:4 71:1
72:10 80:13 82:5
94:15 104:11 108:22
113:13 132:14 140:16

144:6 150:19 151:4
160:1,5 166:2 176:7
179:11,18 182:7
202:7 204:6 213:12
216:20 225:22 227:16
230:19 233:11,21
234:21 239:8 240:2
241:11 281:13 282:17
impress 304:3
improve 6:7 8:1 22:20
60:21 76:10 91:14
110:11 115:10 131:21
143:17 198:13 199:17
262:11
improved 120:8
improvement 2:3 116:3
122:3 125:3 160:22
162:7 192:10 194:10
195:11 197:17 202:22
203:1,3,21 209:10
210:13 217:11 260:7
261:18 262:21 277:5
improvements 20:8
107:14,17 146:2
188:17 205:13 279:4
improving 6:9 93:11
111:8 221:17 266:1
in- 19:21 153:17
in-house 116:11
in-line 135:14 154:19
205:1 248:15 260:6
264:3
in-person 19:22 248:11
In-The- 194:11
In-The-Ditch 177:21
186:9 187:14 188:6
215:20 247:21
inadvertently 157:15
267:14
inappropriate 232:5
incented 246:4
incentive 93:14 275:2
incident 222:17
incidents 137:11
149:12 199:13 273:12
include 21:4 43:9 45:18
58:13 93:4 118:7
123:14 128:15 134:18
134:18 211:13 223:7
237:2 244:5 260:8
261:7,10 276:15,16
292:16
included 202:11 254:12
285:16
includes 110:1 154:21
including 102:8 107:4
123:18 146:17 211:7
262:3 293:20

inclusion 8:4 119:15
186:13
inclusive 215:3
incorporate 107:4
115:18 159:20 189:15
261:20 290:14 303:14
incorporated 156:8
incorporates 110:2
incorporating 143:11
181:15
incorporation 143:14
293:8 295:11
increasing 88:22
incredible 304:2
independence 271:12
independent 7:17 83:4
89:12 173:1
indicating 265:13
indicators 262:16
individual 116:18
171:12 203:4 268:11
individually 9:14
individuals 248:14
industries 1:22 20:10
247:1 276:14
industry 8:12 14:11,21
20:11 38:21 39:1,9,16
42:12 44:15 46:6,6
47:19 48:2,3,16 52:16
53:8,16 54:1,2,7 55:9
55:14,17 60:6,8,13,21
61:2 62:17 63:4,9
72:7 78:5,8 79:9 83:4
88:22 91:3,8,10 93:10
93:15 94:5 100:22
101:17,19 168:13
187:13 188:7 203:12
205:14 206:18 209:4
209:9 210:11 244:4
244:15 250:4 259:15
264:5,11,18 273:16
279:2
industry's 52:22 178:5
industry- 55:4 76:20
industry-led 53:2
industrywide 121:15
infinity 62:11
info 218:20
inform 7:9 193:17
information-sharing
1:5 101:20 131:22
132:22 133:5
infrastructure 5:22
INGAA 3:15 15:17 67:9
80:7,8 264:13 274:19
275:16
INGAA's 82:17 267:5
ingested 238:8

initial 29:20 72:21
100:19 102:18 247:19
289:5
initially 76:13 142:3
256:20
initiate 90:9
initiative 131:9 150:8
150:10 273:19 275:19
injection 238:13
injuries 55:20
innovative 233:17
input 10:1 69:16 84:21
105:7 112:1 117:7
146:1 158:12 186:9
231:10 241:6 276:4
inputs 165:17 166:20
inputting 222:13
inside 255:15
Inside-the-Ditch 244:7
inspection 6:7 135:14
154:20 197:1 205:1
248:15 260:6 264:3
inspections 90:8 223:8
instance 43:17 201:5
instances 11:20 180:9
instant 37:2,14
instigator 184:9
institute 188:8 264:10
instituting 252:20
institutions 39:3 247:1
instruction 255:11
instructions 255:7
integral 159:5
integrate 116:1 259:21
276:10
integration 235:15
integrator 255:22 256:3
integrity 2:4,5 6:10
106:13 107:2 111:4
130:3 135:13 137:14
156:14 195:6 207:8
241:1,14 251:3 260:9
260:12,21 261:7,14
262:12 267:13 271:12
intended 96:13 128:6
intense 289:13
intent 8:9 88:8 111:11
118:11 131:19 134:13
134:14 142:22 157:3
158:14 163:3 172:11
174:6 178:21 195:6
197:3,5 202:21
210:19 212:19 244:8
248:2,9 264:15
265:17 266:22 267:2
267:7 268:15 271:19
272:13
inter-association

264:17
interact 43:2 44:6 48:5
interaction 106:19
109:2 130:6 192:17
192:20 299:14
interactive 19:3 279:10
interacts 108:21
interest 94:17
interested 9:14 25:19
67:16 144:11 145:10
297:20
interesting 40:11
150:12 219:22 292:7
interior 11:6
interject 141:21 202:16
internal 67:1 116:13
117:2 270:22
internally 64:20 69:1
International 2:20 3:11
interpret 170:17
interpreted 199:22
interrelates 108:22
interrelationship 109:2
interrupt 38:6
interstate 93:13
introduce 7:13 13:20
18:11 21:14 25:4
introduced 33:14
introduction 224:21
introductions 4:3 13:22
21:12
invite 301:18 302:8
invited 39:2
invitee 42:22
involved 60:18 146:14
179:21 213:12 240:3
242:9
involvement 60:7 83:5
93:8
involves 260:13 271:6
iron 67:3
ironed 64:10,21
ISIAS 120:22,22 121:7
121:14 179:9
isolation 146:13 172:6
issue 20:16 39:10,17
64:7 65:2 74:6 85:5
143:9 156:13 158:13
162:22 163:10 164:18
180:6 181:2 183:3
226:6 273:15 277:19
issues 29:5 31:14,19
36:4 51:16,19 52:2
73:8 76:5 77:18 78:18
158:10 179:13 201:16
201:18 206:21 210:2
210:5 213:18 218:5
218:18 222:4 233:15

239:4 244:12 250:20
252:14 265:20 278:13
issuing 250:19
item 4:7,14,18,20 95:4
115:12,13 173:17
206:14 282:6
items 6:15 8:15 13:8
26:17 27:7 32:5,19
161:21 170:16 186:6
202:21 207:19

J

Jason 2:1 17:1 224:10
228:15,18,19,20
236:19
Jensen 2:4 17:5,6
37:11,12,19 73:10,14
116:7 117:8 151:19
242:5,5,19 244:1,17
245:16 247:17 249:13
251:6,9,12 253:7
258:5,18 259:6
263:11 265:4 276:3
278:14,22 302:15
Jersey 1:13 10:22
job 104:16 227:3,6
243:8,12 285:4
286:11
Joe 2:13 17:17,21 72:3
72:20 95:2,20
John 2:5 3:18 15:18
17:10 26:21 63:22
75:7 162:18,19
174:12 193:6 199:3
225:16 226:20 227:2
227:5 273:5,6 274:21
275:8
John's 227:7
Johnson 3:10 52:5,5,11
189:4
join 5:13 6:21 28:2
36:15 57:4 151:21
242:11,15 247:7
277:2
joined 5:10 6:17 24:7
85:14 241:21 259:1,2
joining 5:4,15,20
joint 100:21 263:19
299:14
joking 300:17
Jones 17:7
journey 127:13
JSON 238:9
judgment 72:5 193:13
193:20
jump 144:17
jumping 120:12
justifications 286:1

K

Karen 3:14 14:14
Kate 1:19 16:17 56:2
 58:3 59:8,10 77:15
 82:9 144:16,18 279:8
keep 10:10 23:14,22
 79:16,20 142:21
 200:22 273:4 274:19
 275:4 289:11 292:10
keeping 96:21 164:7
Keller 17:8
kept 24:16 41:7
key 7:6,12,20 23:1,8
 30:16 78:18 84:17
 85:19 98:5 104:10
 109:1 127:2 141:5
 148:21 159:16 162:3
 165:12,12 185:13
 214:5 215:12 219:16
 222:22 223:14 232:8
 241:18 244:13,22
 253:17 257:10 275:17
 294:6,11
kick 163:6
kickoff 276:6
Kieba 3:12 14:22,22
 218:14,14,15 219:15
 220:7 240:14,17
 271:16,16 279:20,20
 280:7 282:1
Kinder 2:10 266:12
kinds 178:17 204:2
 208:17
kitchen 96:22
knowing 203:11 223:7
knowledge 159:10
 243:10
known 60:9 217:21
 262:3
Kurilla 3:13 15:22,22
 61:22 62:1 124:11,12
 125:17,21 126:4,8,11
 126:14,22 156:19,21
 159:3 172:2,5 196:1
 196:17 198:1 266:20
 266:20 267:17,21
 268:5 269:16 270:8
 270:14

L

labor 105:17
lack 53:5 142:11 194:18
 195:9 277:22
Lamont 2:5 17:8,9
language 31:14,16,18
 64:18,19 67:2 112:3,3
 126:15 128:8 145:4
 149:22 164:17 166:14

169:16 170:22 181:4
 252:6 267:1 281:14
largely 83:20 114:9
larger 19:21 222:9
 234:9
laser 187:5
laser- 21:7
laser-focused 295:16
lastly 66:8 264:5
late 300:9 303:12
latest 153:22
Laughter 126:10 132:5
 132:10 144:21 152:21
 227:4 258:17,20
 266:16
launching 141:16
lawyer 132:7
lawyers 132:12
layer 76:15
laying 172:12
layout 77:21 213:9
lead 8:12 20:7 158:11
 160:22 221:16 242:8
leader 66:7
leadership 24:6,10 39:8
 51:12 64:6 65:2,4,7
 65:21 86:8,11 164:11
 233:19 245:22 252:5
 298:5
leading 175:1 246:1
 262:16
learn 198:11 264:10,19
learned 106:2 116:1
 117:14 137:5,6,10,17
 142:5,8,15 143:3,10
 144:7 167:4 168:1
 198:11 207:17 209:11
 220:17 222:15 223:11
 253:17 261:22 265:22
 267:5,9 268:18 275:3
 275:4 280:13,15
learned-type 267:4
learning 132:13 263:1
 273:22
learnings 130:12
 142:15 207:4 273:11
leave 26:11 33:11
 116:17 149:20 150:17
 220:10 246:14
leaves 151:15 218:21
 220:8
leaving 151:17
led 38:19 42:10 52:16
 52:16 55:5 231:8
left 8:21 11:12 26:8
 33:21 79:7 226:5
 273:17
leg 209:5

legal 4:9 33:3,3 34:22
 35:6 45:12,17 47:8,12
 47:13 49:3,15 56:15
 86:3 87:10,13 164:22
 185:13 252:18 254:9
 270:11 285:2
legally 269:10
legislation 78:11,13,15
 78:17 88:2 93:16 97:5
 97:13 130:10 232:19
 232:22 233:8 252:7
 252:12 253:1 257:12
legislative 78:2
legislature 72:11,14,16
Leif 2:4 17:4 37:11,18
 73:10 116:7 151:19
 242:5,18 249:1
 254:18 302:15
length 216:22
lengthy 245:18
lenience 145:9
lens 30:22 201:5
lenses 201:5
lessons 106:2 116:1
 117:14 137:4,6,9,10
 137:11,11,17 142:5,8
 142:15 143:3,10
 144:7 167:4,22
 198:11 207:17 209:11
 220:17 222:15 223:11
 253:16 261:21 265:22
 267:5,9 268:17 275:2
 275:4
lessons- 267:3
let's 26:22 75:16,17
 86:21 192:2 194:16
 209:1 222:21 291:5
 298:14
letting 109:10
level 45:3 46:2,11 57:13
 65:1 81:12 105:4
 107:1,21 108:14
 117:16 125:11 130:12
 137:10 144:5 157:22
 169:22 176:11 177:22
 184:15 200:21 202:3
 212:13 238:18 256:9
 260:15 273:19 279:17
levels 39:2 40:15 94:6
 253:22
leverage 53:11 84:6
 187:18 188:19 246:22
 264:7
leveraging 259:15
 263:13 276:12
life 1:21 265:16
lifted 166:13
light 118:1 156:2

lighter 69:9
liked 63:17
likewise 63:2 261:10
limit 204:22
limited 99:13 260:5
 261:10
limiting 89:9 158:8
limits 192:13 204:20
line 165:4 190:10
line-by-line 39:5
lines 3:18 9:14 62:19
 162:20 273:7
link 6:20
linkage 97:4
liquid 6:10 8:3
list 144:9 261:19
listed 6:15 8:5 137:19
 137:21 161:18 163:13
 264:6,12
listened 228:13 258:6
listening 51:3 76:3
 212:4
listens 150:15
lists 207:19 261:15
 263:15
litigation 104:5
little 5:17 9:22 12:5
 18:19 25:13 26:11
 27:10 29:10 52:14,20
 54:3 61:14 97:3 117:4
 124:16 125:5 132:4
 136:13 151:17 156:12
 160:13 170:20 175:19
 178:16 184:15 185:14
 190:5 202:16 212:2
 214:2,7 216:22 218:8
 220:15 232:1 238:21
 250:8 257:9 273:3
 288:10 290:9 291:15
 292:1
live 177:19
lives 196:3
local 144:12 145:10
located 8:17 10:19,22
 11:9 12:6
location 12:19
locations 142:5
lock 164:5
locked 102:9 166:9
locking 159:22
LocusView 2:2
logistically 300:16
Logistics 2:4
long 72:14 84:8 91:18
 199:14 220:9 268:15
long-term 150:20
longer 149:6
longer-term 257:14

longest 239:14
look 7:14 11:21 13:2
 20:15 24:18 28:21
 30:21 34:20 38:13
 40:13 42:19,20 44:1
 45:17 51:2,21 52:20
 52:21 54:9 56:16 58:6
 74:17 75:4 76:2,13
 78:14 79:1 80:5 82:5
 82:22 94:11 101:3,5
 103:13 104:2 108:10
 119:8 124:17 127:12
 128:7,18 132:21
 141:2 143:12 148:20
 151:11,18 156:12
 160:16 161:4 164:3
 165:20 178:4,7
 181:13 182:3,17
 184:3,14,15 189:20
 190:3 194:9,16,17
 199:11 201:4,18
 207:18 210:5,9 212:6
 213:10 214:1 233:18
 234:9 239:8 252:1,19
 259:11 260:19 266:7
 268:3,17 271:5 278:8
 278:11 282:11 283:20
 284:3 286:3 289:22
 290:12 298:2
looked 100:15 215:5
 218:18 265:11 268:21
 277:8
looking 20:10 21:9
 26:22 29:3 30:18
 31:10 45:22 50:13,19
 51:6,9,15 58:11 77:7
 77:12 80:12 82:18
 96:6,17 98:1 99:8
 102:11 107:7 130:8
 131:4 136:7 148:14
 154:5,12 160:14
 163:21 165:15 166:1
 166:1 188:10 195:7
 199:8 210:14 213:17
 214:22 215:1 221:9
 221:21 230:16 232:7
 234:1,19 237:20
 239:1 240:9 241:15
 255:11 257:9 272:20
 293:7 294:7 295:9,12
looks 51:12 71:12
 188:20 233:6
lose 181:7 271:14
lost 37:22 230:15
lot 18:19 20:22 22:9
 25:18 41:8,9 43:5
 50:14 52:2 57:14
 60:12 62:14 67:14

68:11 73:8 75:18 77:1
 94:3,13,17 103:8
 105:3 149:7 154:22
 157:2,6 159:9 161:18
 168:21 172:8,16
 180:21 181:2,7
 182:21 189:15 203:16
 211:8 212:17 213:7
 225:3 227:21 230:15
 232:16 233:3,5
 238:17 241:6 252:14
 256:20 257:4 262:6
 265:18 271:3 273:10
 273:11 282:16 289:20
 293:5,16 296:12
 303:1 304:3
low- 208:20
lower 53:3 277:14
lunch 4:13 25:17,17
 26:3,5 151:13 152:12
 152:13 190:17
lunchtime 9:4 26:4
Lynch 3:14 14:13,14

M

ma'am 216:17 238:3
 239:9
MacNeill 2:5 17:10,11
Madam 22:1 24:12
 73:11 109:5 235:5
main 39:4 95:12 155:5
 208:18 261:13,17
 301:5,6
maintain 267:13 271:7
 271:11
maintains 270:21
major 42:12
majority 161:12 282:13
making 19:1 30:22 31:2
 42:13 65:5,7 86:8,10
 127:22 140:22 146:19
 172:13 173:3 183:19
 196:7 200:2,7 216:9
 220:22 231:8 272:16
 274:13 278:7 282:20
 288:6 303:15
manage 212:1 214:13
 276:15
managed 76:21 106:6
 227:18
management 1:21 23:7
 64:8 111:4 115:22
 116:2,20 117:21
 123:17,19 127:8,13
 128:15 129:5,6 226:1
 226:7 260:9,13 261:8
 261:15 262:12 263:20
manager 1:18,19,21

237:15
managing 120:4 260:19
 261:3 276:21
mandate 8:5 99:4 132:1
 155:6 162:12 188:14
 194:11 203:20 207:14
 286:3
mandates 285:3
mandating 163:1
mandatory 149:14,18
 150:13 156:4,12
 169:16,20,20
manner 62:22 180:2
 274:17
manufacturer 199:15
mark 2:3,18 13:16,17
 14:10 17:4,22 44:20
 44:21 46:13 49:19
 63:19 103:18 104:20
 109:15,17 116:7
 120:21 124:15 129:21
 137:2 142:1 151:9
 154:15 174:2,21
 182:1 184:19 186:5
 205:18 208:9,10
 212:20 218:1 224:10
 225:11 226:21 228:11
 228:15,18,19 229:1
 229:21,22 230:1,10
 231:4 239:20 271:9
 298:21 299:11,22
 302:18
marking 98:3
mart 236:9
marts 235:15 237:15
Massachusetts 150:16
Massoud 3:19 15:2
 21:18 24:7,12
match 77:9,10
matches 77:9
material 142:20 181:12
materials 1:3 246:21
matter 50:4 72:8 85:6
 102:13 165:17 179:11
 179:15 190:16 191:19
 244:4 250:3
matters 31:12 193:14
mature 256:16,17
 275:15 303:4
matured 73:21
matures 258:13
maturity 116:10 133:4
 133:15
Max 3:12 14:22 152:2
 218:13,14,15,22
 219:9 241:10 242:6
 259:6 270:17,17
 271:16 279:19,20

maximize 137:22
 289:17
Mayberry 2:7 15:4,4
 17:12,13 21:15,22
 28:8 34:7 43:7,8,15
 43:19,22 44:3,9 58:2
 58:5 70:15 71:16
 83:11 98:12 99:14,21
 100:6 101:9 128:13
 129:1,9,12 131:2
 158:6 200:20 254:17
 256:13,16 257:6
 275:12
Mayberry's 174:10
mean 21:4 56:11 60:22
 66:19 75:5 83:12
 96:19 97:21 125:2,18
 145:4 158:6,7 164:14
 175:19 176:21,22
 177:16 202:7 210:21
 212:12 222:15 229:18
 268:8 281:17
meaning 132:9 175:11
meaningful 165:19
 166:21 174:9,19
 175:11 176:16 182:14
 244:9,11 267:9
 279:11,12
meanings 168:17
means 51:13 52:22
 113:9 158:15 169:17
 174:17 230:22 233:6
 278:12 282:14 304:3
meant 111:6 131:22
 134:21 153:1 196:19
 301:5
Mears 2:16
measurable 88:8 260:1
 262:15
measure 223:1 262:17
measured 187:9
measurement 168:6,7
 171:8,9,10,11 173:11
 194:12
measures 191:17
measuring 277:3
mechanism 130:11
 138:21 237:14 246:8
mechanisms 101:2
 163:12 274:3
media 1:13 8:18 10:21
medical 12:2,16
meet 24:2,20 111:11
 257:4 275:17 289:12
 291:16 301:3
meeting 1:8 5:6,8,14,21
 6:19 10:13 14:1 18:3
 18:6,6,7,10,12,22

- 19:6,11,22 22:6 25:6
26:13 31:20 34:13,17
52:1 59:17 73:18 74:5
74:16 103:11,17
106:19 107:12 111:7
111:12 146:4 153:18
170:4 230:12 241:8
254:7 256:5 276:19
282:18 283:19 287:8
287:9,12,14 288:1,20
290:3,4,20 291:4
292:2 295:21 296:3
297:18,21 300:1
301:19 302:19 303:6
303:15,21 304:16
- meetings** 19:13,14
24:16 29:9 36:3 38:15
56:21 64:2 72:6 80:14
80:16 99:15 106:18
108:19 112:12 115:3
137:7 207:13 208:18
211:9 242:10 246:16
256:1 259:9 263:17
265:12 277:9 279:8
287:13 290:21 296:11
297:2 299:2,3,4 300:2
- meets** 275:16
- member** 9:8 10:6 22:11
24:6 249:5 277:20
- members** 1:15 5:14,15
22:4 30:11 35:3 59:10
60:22 63:3 67:12 74:1
80:15 81:16 84:21
103:11 105:16 189:17
225:21 264:14 271:13
290:17 296:13 297:19
302:5
- memberships** 268:11
- memo** 35:12,22
- memorandums** 93:19
- memorialized** 125:19
- mention** 22:7 169:15
250:16
- mentioned** 32:14 33:19
99:5 154:15 161:12
249:3 250:2 262:8
263:12 275:1 276:6
280:9
- mentioning** 175:21
218:17
- mere** 23:3
- message** 37:2,14
140:11 284:19
- messages** 8:15 147:16
- messaging** 140:16
- met** 1:12
- metal** 192:18
- metaphor** 199:9
- method** 204:17 205:11
246:8 251:2 255:20
- methods** 188:10 195:4
195:6,12 196:6
207:15 248:10 250:1
- metric** 171:1,2,3
- metrics** 117:13 223:1,3
223:6,14 244:9
279:11
- MFL** 200:12
- mic** 121:2
- Michael** 1:18 16:15 17:7
51:18 121:21 138:5,8
139:3 152:7,14,22
203:16
- Michael's** 122:7
- Michelle** 3:9 14:15
17:20,21
- micrometer** 187:4
- microphone** 101:13
- mics** 190:14
- middle** 13:5,6 190:22
246:19 277:11,15
- mike** 2:5 17:8 21:21
- mind** 74:19 75:13 77:3
79:16,20 124:21
152:8 241:11 273:4
289:11
- mindful** 201:19 221:18
281:11
- mine** 113:15
- minimum** 94:6 156:6,7
156:15,17 170:10
171:1
- minor** 61:4 128:19
- minute** 72:22 171:22
236:1 251:19 296:5
- minutes** 10:11 113:6
- mirroring** 96:7
- misinterpreted** 149:21
- missed** 131:12 199:16
- missing** 148:22 189:21
- mission** 4:8 7:8,11 8:7
32:22 85:17 87:1
100:17 112:4 119:16
143:8 239:6 292:6
293:15 294:20
- missions** 36:12,18
285:3
- mistake** 198:12
- misunderstood** 196:18
- mitigation** 260:22
- mixed** 167:7
- mixing** 168:13
- mobile** 9:10
- model** 38:13 52:20 64:9
64:22 71:12 83:7,14
116:10 143:11 165:5
255:21 270:19 272:3
- modeling** 198:10
- models** 64:3 71:8 82:19
228:14
- modifications** 292:14
- modules** 248:11 249:19
250:16 254:11
- moment** 110:17 220:13
242:2 243:22
- Monday** 297:11
- money** 45:11 47:21
77:22
- monies** 100:20
- monotone** 258:19
- month** 13:12 26:14
48:22 105:2 226:15
- months** 20:21,21
- Morgan** 2:10
- morning** 5:3 8:14 14:3
14:13 26:10 27:3,6,13
52:12 59:11 61:16
63:21 67:7 68:8
114:11 117:11 133:11
139:5 140:10 144:18
144:19 145:1 154:5
185:15 191:6 196:9
206:19
- morphed** 75:20
- motivate** 246:1
- motivation** 203:14,16
- MOU** 97:10,11,14,19
- MOUs** 97:9 98:3
- move** 9:3 11:6 16:10
20:16 29:4 34:4 85:11
87:9 169:19,21
181:20 188:4 211:21
222:21 234:16 241:21
242:1,2 258:22 284:8
292:5 295:19 302:19
- moved** 115:13 277:12
- moves** 282:11
- moving** 20:4 92:15
161:8 162:9 166:17
167:17 169:1 175:1
194:22 198:8 207:5
242:4 276:5 283:1
287:4
- multi-tasking** 9:13
- multiple** 9:12 29:15
84:7 235:15
- Murray** 3:4 5:3,7 12:8
12:13,15 13:9,10,14
13:17,19 21:13 25:3
27:8,18,21 29:11
36:13,19 37:4,15,20
38:7 85:13 87:6
110:22,22 111:13,15
111:21 119:14 122:20
- 123:15 153:22 214:10
214:15 239:17 249:1
283:4 286:12,13
290:19 294:19 296:6
297:6 298:17,18,20
299:11 300:4 301:15
302:13 303:13 304:13
- mute** 9:13 190:10
- mutual** 274:2
- mutually** 245:8
-
- N**
-
- NACE** 155:1
- name** 13:15 14:8,13
15:14 21:19 63:12
- names** 168:5
- naming** 168:12
- namings** 169:1
- Nancy** 3:20 12:9 15:1
- NAPSR** 105:15
- narrative** 285:6 286:1,9
- NASA** 43:10,17
- national** 2:5 58:20
- nature** 8:11 33:22 268:8
- NDE** 98:18 107:8
123:18 124:1 130:14
138:19 168:2 171:8
186:13 187:14 188:6
188:10 192:2 244:6
- NDE-4E** 264:2
- NDT** 98:18
- near** 11:19
- near-misses** 90:11,16
90:20 137:12 142:15
- necessarily** 77:20 80:9
80:10 164:4 181:9
214:4 221:16 228:22
233:11 252:9 253:19
262:7 272:20 279:16
281:9 286:17
- necessary** 96:15 98:5
172:15 197:16 232:9
243:11 253:3 257:11
278:19 284:15 296:3
- necessity** 35:15 156:6
- needed** 39:20 55:21
73:9 86:13 161:13
170:16 220:18 224:13
229:6 292:14
- needing** 51:2 232:20
252:9
- needs** 19:20 32:16 42:6
48:9 49:7 55:13 75:13
78:7 90:1 95:15
102:17 148:16 156:8
173:16 177:16 185:16
202:1 216:19 237:3
252:15 281:19 282:6

282:10 284:10 287:15
291:6 298:10
negative 80:22 221:13
never 126:9 270:20
271:14,14
nevertheless 206:22
new 1:13,16 10:22 15:7
21:17 24:6 68:5 151:2
262:3
nice 266:13
night 42:2 289:14
nine 242:21
ninth 242:21
NIST 236:17
no-retaliation 91:21
nodding 258:16,16
non- 66:14 89:18 136:3
162:11
non-destructive 106:14
107:4 136:17
non-disclosure 40:7
93:20
non-ILI-type 161:14
non-negotiable 62:19
non-negotiables 62:13
non-regulatory 164:10
non-relational 235:14
non-reportable 90:22
Nondestructive 188:9
norm 256:22
normal 19:13 47:17
normalized 238:12
not-for-profit 83:4
note 124:9 127:20
noted 24:5 94:4 149:13
notes 18:6,7 141:10
240:9 258:5 283:10
noteworthy 7:13
notice 290:6,8,22
notification 256:10
noting 164:15
notion 75:15
November 19:10 26:12
52:1 54:22 113:1
287:10,12,13 288:6
288:12 289:8,12,14
289:20 291:3,7 292:2
292:17 295:1,4,21
297:17,22 298:6
299:2 300:1 302:19
302:20 303:15
NTSB 150:11,12,15
nuanced 104:5
nuances 126:15 161:1
number 10:15 18:9 19:4
22:19 28:4 154:8
174:8 223:8,9,11
293:2

numerical 167:6 168:2
numerous 38:15

O

o'clock 151:13
obey 145:6
objection 67:22 138:14
241:20
objective 32:22 36:18
50:18 69:22 164:8
292:6
objectives 4:8 7:7
36:12 38:9 76:10
85:17 87:1 96:21
100:17 143:8 239:6
241:17 293:15 294:20
obligations 150:6
obstacles 45:20
obvious 32:7 142:2
obviously 22:19 23:8
41:15 58:17 61:8
102:12 268:9 269:13
occasion 22:7
occasions 192:19
occur 147:10
occurring 74:11
occurs 12:19 185:10
October 1:10 291:11,12
292:1 297:10,14
301:20
offer 13:12 49:12 79:12
103:13,18 145:11
162:12 165:7 184:5
274:5
offered 168:22 243:9
offers 179:1
office 24:10 38:19 44:7
44:7 74:20
Officer 108:10
official 3:6 5:8 67:3
officials 144:12 145:11
offsetting 177:11
Offshore 263:22
Oil 2:1 3:18 15:19 63:22
162:20 273:7
Oklahoma 255:3
old 223:17
onboard 176:20 268:13
once 132:12 173:6
194:8 196:19 205:22
215:21 218:20 220:7
225:7 241:2 258:9
272:10 283:19
one- 291:16
one-off 91:11
onerous 165:22 166:9
272:2
ones 33:15 77:8,9

185:2
ongoing 67:15 188:7
249:6,11
open 29:7 55:15 76:6
80:15 82:14 98:7
101:20 102:7 110:12
111:10 116:16 117:7
140:7 150:8 178:16
207:22 208:19 209:7
271:3 299:1
opening 4:5 9:21 14:1
21:16,21 97:6
openly 55:17
openness 80:17
opens 210:1 250:20
operating 7:5
operation 92:13
operational 261:21
operations 55:18 74:20
79:3 161:17
operator 90:1,2,4 91:18
95:6 100:3 106:21
107:2 127:7,11 130:7
215:9 216:2 244:4
operator's 204:15
216:1
operators 57:3 74:3,11
91:12,22 94:18
105:16 106:12 107:8
115:6,18 116:18
117:5,12 120:16
123:5 125:8,12,14,15
126:20 128:3,16
131:7,11 135:12
150:3,5 154:17
188:12 198:9 203:14
216:20 223:10,12
247:22 248:14 262:18
274:14
operators' 126:1
opinion 51:8 60:21
opportunities 34:18,21
36:4 67:17 165:14
246:22
opportunity 10:14
29:19 30:11 50:16
59:21 60:4 78:4
107:14 117:5,15
164:1 193:9 257:13
259:21 276:9 288:13
290:16 301:21
opposed 52:15 54:18
253:15
options 22:17 34:3 49:5
52:15 53:6,18 56:7
58:9,12 70:1,18,21
80:1 86:15,18 139:6
168:4 230:6 296:17

296:19 300:19
order 14:1,5 18:5 27:11
62:9 157:16 170:17
171:4 194:8 223:2
278:1 296:14
Order/Open 4:4
ordinary 132:8
org 40:17
organization 39:1
40:16 42:20 43:4,18
44:8 46:7 47:20 48:13
48:17 65:19 74:17
83:3 248:19
organizational 226:4
organizationally 77:21
organizations 23:10
60:17 69:13 105:17
137:20
organized 102:14
105:17 124:19 243:3
original 19:7 161:11
188:14 194:11
Osman 3:15 15:17,17
67:7,9 274:18,18
others' 112:1
ought 112:3 231:16
251:14
out-of-box 293:8
out-of-the-box 50:16
outcomes 8:13 227:10
262:15
outline 302:4
outlined 40:17 297:5
outlines 86:4
output 248:7 256:1
260:1 275:19
outreach 1:19 3:4
161:16
outs 4:7,8,14 25:17
outset 127:5 137:9
outside 11:12 25:19
31:8,20 51:11 77:4
78:6,14 97:16 170:3
193:21 214:2 218:20
219:10 257:1 270:2
outward 13:13
overall 65:4 68:19
86:21 88:16 116:3
204:8 223:7
overarching 111:17
239:6
overcome 247:8
overlap 276:7
overlapped 245:5
overlapping 254:8
296:13
overlaps 242:22
overruled 66:21

overseeing 65:16
oversight 65:13,14
 219:13
overthinking 273:2
overviews 181:11
owning 234:4

P

P-R-O-C-E-E-D-I-N-G-S
 5:1

p.m 190:17,18 301:21
 304:16

page 37:16 38:17 40:14
 40:15 42:20 44:1
 74:18,18 75:5 87:12
 89:16 92:18 124:22
 141:13 150:2 163:15
 165:6 176:9 205:19
 241:3 246:19 263:21
 264:1 265:5 266:4
 267:2 276:6 277:4,4
 277:11,15,19 278:9
 297:21

pages 29:15 38:5 283:6

paid 39:10

pair 244:3,13

Pandora 250:20

Panhandle 1:17

paragraph 260:11
 261:5

parallel 87:17

parameters 167:22

168:1,9 182:13

269:14 272:22

parent 5:14 7:9 10:2

25:10 30:10 31:6

33:10 38:11 42:6,14

232:3 291:17,22

292:19 295:7 297:16

298:1 301:9

Parker 2:9 17:14 28:3

36:16 38:3,4,10 41:12

41:21 42:19 43:14,16

44:1,5,10 45:5,21

46:12,18 47:6,11

49:18 50:2 70:20 71:4

72:20,21 82:3 84:13

87:4,11 95:19 97:20

98:22 99:18,22 101:4

101:8 102:20 109:14

109:14,17,21 110:4,7

110:9 266:11,11

274:10,10 296:7,8

part 11:7 23:9 25:5 36:5

53:21 74:14 75:2 76:2

78:8 88:9 109:1,3

115:21,22 116:13

117:20 127:8 134:21

155:5 162:12 164:8
 174:7 176:12 181:2
 202:9 203:17 206:20
 219:11 220:21 222:12
 254:22 269:6 272:19
 279:6 294:5 302:10

participants 18:16

40:12 64:16 93:1,19

125:10 128:1 157:9

167:20 245:1 250:5

253:22 257:1 262:19

264:14

participate 39:2 53:1,20

57:5,12 61:11 78:20

125:16 150:4,5

154:16 157:14,16

212:12 245:1 246:5

301:19 302:6

participating 78:9

79:11 94:18 126:19

223:10,12

participation 10:4 22:3

36:5 57:13 64:13 69:5

88:19,19,22 150:7

156:7 157:5 159:15

163:1,8 165:9 195:22

223:3

particular 20:11 39:13

50:21 88:13 103:21

122:21 175:4 196:20

202:19 214:3 221:3,9

234:10,14 251:15

271:1,2 281:17

294:21

particularly 119:18

121:20 264:2 271:18

274:21 291:3

parties 93:2 99:12

101:21 109:3 130:9

139:9,9,13 274:14

297:20

partners 1:18 53:10

partnerships 100:21

parts 39:8,12 150:1

166:2

party 54:9 75:6 89:10

179:13 236:7

PAS 129:6

pass 15:16 21:20

passing 193:12,20

passionate 218:6

path 231:9

patience 5:19

Patni 3:16 15:20,20

101:11,11,14,14

281:1,1,5

Paul 3:17 36:20 131:3

151:10 156:3 157:5

158:7

pause 6:16 32:16 236:2

263:3 288:10

pay 13:7 71:11

paying 37:8

PDF 29:14 186:15

Pearen 17:15

peeling 76:15

Peer 267:4

people 15:12 19:22

50:6 53:19 57:11 60:7

60:22 61:9 72:2,22

76:16 84:14 98:8

110:11 113:9 117:14

119:3 121:4 124:19

125:21 129:7 148:9

157:22 159:22 163:6

163:11,18 164:15

175:6 176:13,19,20

180:2 181:5,20

189:12 197:4 213:12

221:4 222:7 229:17

230:16 232:19 233:3

240:3 244:5 246:3

248:2 249:22 254:6

256:21 266:8 268:2

270:4 275:5 284:22

286:8 290:15 294:8

294:15

people's 51:3 238:18

perceived 202:19

percent 77:10 139:11

139:22

perception 52:18 54:5

perception's 53:14

perfect 37:10 242:17

perform 244:6

performance 2:3 111:9

121:16 195:5,9,10

203:6 216:21 217:3,4

217:9 221:17 223:5

264:4 277:3

performed 186:10

performing 221:11

245:9 262:18

period 55:2,3,6 60:19

105:13

periodic 107:16 115:19

115:19

periodically 37:16,21

121:10

perpetuity 196:3

Perry 2:11 17:15,16

52:8 54:14,16 59:20

75:3 77:15 82:9 146:8

146:9 147:4,12,17

284:13,17 301:17

302:12

person 5:16 10:6 11:22

19:22 30:5 54:17

120:11 153:18 216:3

255:15

personal 85:5

personally 240:6

personnel 155:2 188:6

188:18 212:1,5,10

214:13

persons 248:16

perspective 51:10 72:3

77:13,19 78:2 91:2

117:17 132:15 133:22

164:5,11,14,22 190:3

204:16 213:11 238:20

240:2 252:8 290:10

294:12

perspectives 116:12

274:8

pertain 277:22

pertains 116:9

peruse 29:19

Petroleum 188:8

phase 226:5 232:12

258:12 287:5

PHMSA 2:8 3:5,7,9,12

3:14,17,19,20 9:7

14:14,16,22 15:1,3,5

16:3 18:8 34:20 35:1

38:19 39:1,9,16 40:18

42:10 43:3,9 44:12

45:2,19 46:5,13,16

47:13 48:12 53:8,22

56:5 61:4 65:9,20

66:3,6,18,21 68:13,14

68:21 69:1,6 71:8

72:8 75:2,5 77:5 78:4

78:10 79:3,7 88:12

89:9 90:3,7 93:8,12

93:21 94:8 97:11,17

101:17 105:14 117:19

120:20 123:12 190:1

218:14,15 234:19

255:18 271:16 274:2

279:20 298:5 302:7

304:1

PHMSA's 42:21 44:7

47:17 54:3 68:19

70:22 88:9 92:22

93:11

PHMSA- 67:22 83:1

PHMSA-2016-0128

10:16

PHMSA-2106-0136

18:10

PHMSA-administrated

69:4

PHMSA-led 52:21

phone 5:16 6:17 9:11
9:14 10:5 15:12,14
16:12 18:13,16,20
19:2 26:19 30:5 36:8
52:4 56:2 60:8 62:16
67:9 72:2 95:2 96:1
102:3 108:3 109:11
114:15 121:5 122:13
129:18,19 135:6,19
136:20 147:19 155:14
162:15 167:14 169:5
183:16 185:21 187:21
190:10 193:2 195:17
205:4 206:9 210:14
213:2 217:14 224:2
224:11 235:20 237:10
237:19 243:18 245:11
263:6
phrase 193:14 258:11
279:12
phrased 156:10
phrases 193:10
physically 8:17 10:20
pick 208:20
picked 300:8
picking 80:1 268:3
pictorial 142:17
picture 178:4 241:16
piece 23:8 51:16 101:16
120:10 149:19 192:18
214:3 219:20 247:10
269:7
pieces 88:1 133:15
piggyback 122:20
PII 1:18
pipe 3:18 162:20
186:11 192:18 199:15
273:7
pipeline 1:3,18,19 2:8
2:12,13 3:8,10 6:10
8:1 14:20,20 20:9
21:5 23:2,13 24:10
59:16 60:17,18 61:9
69:15 76:11 81:8
88:11 91:2,14 92:3
93:11 96:15 111:8
115:21 116:20 117:21
120:4 123:5,17 143:4
144:10,11 161:17
173:8 199:12 221:6
232:18 244:3 260:4,5
260:12,14 262:22
266:2 273:9 295:19
pipelines 6:1 15:19
64:1 71:11 133:2
pipes 6:2 188:11 204:5
PIX 267:5 273:8 275:16
place 11:5 49:16 63:5

129:7 133:1,14,18
134:17 137:15 144:13
147:14 159:9 215:17
227:14 272:22 275:5
287:13 294:22 298:10
placed 10:17
places 174:9
plain 31:13,16,18 67:2
132:8
Plains 3:8 14:19 205:2
plan 68:20 109:17
114:3 124:3
play 123:1 134:17
139:10 196:3
playing 27:1
plays 136:12
please 9:9,19 10:4
11:21 13:2,6 32:11
33:7 298:12
pleased 22:16 24:6,9
plug 272:6
plus 2:5 64:9
point 11:19 14:5 27:16
39:5 42:5 48:20 50:6
52:14 54:10 57:21
67:12 96:11 102:22
106:16 108:22 111:21
112:6,14 115:2
116:22 117:18 118:4
119:1,12 120:5
122:10,11 124:8
126:6,16 127:2,17
128:5,19,20 129:10
135:1 139:2,15,16
140:4,10 142:12
143:7 144:4 147:13
147:16 148:11 153:11
154:12 160:3 169:18
172:20 173:3,21
174:10 181:8 185:13
185:16 194:5 196:8
199:6 215:7 216:11
224:20 228:11,11,19
230:11 240:14 248:16
263:4 269:1,21
270:12 271:2 277:6
278:14 279:7,21
283:1 288:15 292:21
pointed 218:1
pointing 241:9
points 77:14 131:17
138:4 142:19 143:20
148:2 173:9 175:8
182:10 185:5 193:10
213:22 228:19 246:9
274:12
policies 40:7 43:3
64:14,15 66:9,16

policy 21:18 66:20
200:1,8,8 226:6
policymaking 200:15
ponder 156:22
poor 102:16
population 278:3
portal 238:9
portion 206:1 258:8
position 20:15 67:13
80:11 282:4
positive 80:22 209:1
274:3
possibilities 161:1
possibility 296:16
possible 10:12 23:12
71:7 157:12 223:6
256:14 260:7 279:9
292:16
possibly 60:21 86:3,4
86:17 95:17 148:3
197:20 216:11 249:10
258:19 259:20 264:16
288:16 292:8 299:22
302:20
post 35:1
posted 297:21
potential 20:5,18 68:3
94:12 163:20 221:14
273:13 277:1 294:17
potentially 46:7 100:16
137:11 177:12 181:15
181:17 289:13 293:7
power 13:4 43:4 47:8
PowerPoint 7:2
practical 31:1 66:8
93:16 127:10 157:17
164:14 292:21
practice 105:11,21
106:20 108:18 110:3
111:3 115:11 117:1
155:1 206:22 207:2
239:19 247:2
practices 4:10 20:13
82:20 112:18 113:2
114:8 151:11,14,18
152:9 162:1,5 163:2
241:21 242:9,16
258:22 259:5 262:2
276:13,17 281:8
299:7
practices/standards
154:19
pragmatic 177:1
PRCI 52:6 74:13 133:7
133:22 134:1,14
188:8 210:14 229:4
264:2,12 275:22
pre-decisional 298:1

pre-subcommittee
19:14
preamble 108:12
precise 193:16
precursor 228:12
predict 199:18
preference 71:19
prep 284:9
Preparatory 4:19
prepare 26:12 49:20
prepares 95:6
preparing 19:9
prescribing 227:10
prescriptive 176:18
228:5 229:3,17
231:17 237:1
prescriptiveness
230:16
present 1:15 3:2,22
22:4 142:18 161:3
presentation 6:22 7:2
118:12,17,17 134:15
presentations 18:7
115:3
presented 38:14 142:13
200:18 230:13
presenting 296:17
presenting 67:17
preserve 244:21 250:14
President 1:17,20 2:2,5
2:9,16,18
presiding 1:14
press 27:21
pressure 135:15
pretty 26:15 59:15 99:6
112:15 157:1 289:13
292:7
prevent 45:6 55:19
222:16
prevention 83:22
previous 64:2 72:6
86:18 112:12 122:21
246:15 277:9
previously 5:19 112:5
206:19
primarily 38:19 42:10
primary 29:22 38:18
56:11
Principal 2:3
principle 89:14 194:20
principles 119:2 124:6
prior 115:2 178:13,19
241:8 288:1,13,20
297:17
private 46:6 56:19 68:4
69:16 93:14 210:17
proactive 8:11
probably 33:6 56:11

77:10 81:21 86:16
 90:12 108:22 123:3
 126:15 127:16 149:17
 152:16 182:5 189:8
 205:17 218:1 239:14
 241:10 271:21 284:18
 291:6 298:4
problem 38:4 41:22
 77:21 163:15 183:2
 189:21
problematic 61:7
problems 262:3
procedure 186:17,18
 187:7
procedures 187:17
 192:3 273:21 276:17
 279:3
proceed 13:13 145:22
 242:13
process 2:3 4:9 24:22
 27:17 28:11 53:11,21
 67:15 88:3 89:12,22
 93:2 104:18 105:1
 106:11 116:2,2
 117:13 121:8,13
 123:14 133:4 136:11
 137:4 139:15,16,18
 139:19 141:12,15,17
 144:7 146:14 148:15
 154:16 162:4 166:21
 166:22 167:3 168:7
 169:2,18 172:9,10
 180:5 183:17 205:11
 205:16,21 211:22
 214:12 218:9 220:16
 239:7,20 244:2,18
 245:5,6 246:20 248:3
 251:10,16 252:10
 260:9,14,15,18 261:2
 261:8,18 262:19
 263:22 264:17 265:9
 265:15 269:8 279:5
 279:22,22 280:13
 282:1 283:8 290:10
 291:2 293:11,21
 296:14 299:8
process-sharing
 148:21
processes 120:1 130:2
 133:13,17 143:15
 144:13 158:11 159:14
 167:9 181:13 222:2
 222:12 258:9 262:2
 269:5 273:21 276:22
 279:3 280:14
processing 143:4
 179:20
processwise 120:13

produce 233:3,5
produced 117:13
producing 50:4
product 233:18 264:19
productive 295:15
products 233:5
profile 249:12
profiles 168:8
program 38:19 44:7
 47:4,7,8 74:20 76:9
 78:21 88:14 90:5,6,14
 91:20 92:13 94:19
 95:7 102:18 116:19
 124:5 149:14,15,17
 156:4,15 196:19,22
 214:6 223:5 226:12
 248:8,12 251:4
 260:13 267:6 268:9
 294:9
programs 21:18 48:3,4
 48:7 68:13 69:7 71:11
 74:12 88:10,11 93:1
 96:14 99:20 161:17
 254:12 262:12 264:9
 267:8,9,14,16 268:7
progress 296:22
 302:21
prohibited 91:22
prohibiting 89:7
project 45:14 52:21
 72:14,15 92:13
 127:14 256:8 258:3
 274:6
projects 262:4
promote 69:15 128:18
promoting 23:6 128:17
promptly 49:21
pronouncing 21:19
proper 20:7 21:12
properly 170:18
proponents 200:4
proposal 73:17
propose 54:21 296:21
proposed 25:10 30:20
 31:3
proposing 275:14
 291:12
pros 49:4 68:9 70:9
 86:4
prospective 197:17
prospects 22:9
protect 55:19 94:3
 244:20
protected 236:17
protecting 5:22 92:6
protection 88:20
protections 40:3 64:14
 93:10,18 94:13,17

274:13,22 275:6
protocol 158:17
provide 6:13 7:16 8:10
 11:4 30:11 45:19
 57:10 117:6 123:3
 161:3 165:9,18 192:1
 205:12 230:3 256:1
 293:13 294:10
provided 94:5 95:6
 105:3 113:9 136:17
 228:9
provider 39:11,22
 43:17 44:6,13,17
 51:16 75:6 106:22
 130:6,7 180:16
 197:19,20,22 212:5
 215:9 217:2 233:15
 234:3
provider's 180:16
providers 102:8 105:16
 106:13 107:3,8
 123:16,18,22 124:1,2
 135:14 136:4,18
 154:17 198:15 203:5
 216:20 217:9 223:10
provides 9:21 56:19
 66:17 107:16 111:8
 117:1,3 138:20
 163:12
providing 12:3 45:2
 100:2 121:13 219:17
 255:11 276:13 279:1
provision 45:2,18 91:22
provisions 40:5 64:13
 88:1 114:10
prudent 31:22
PS-10 280:2
PS-4 131:7
PS-5 135:12
PS-7 133:20
public 1:16 3:13 5:15
 10:2,8 15:7,8 16:1
 34:18,21 35:2,3,8,14
 35:15,16 53:3,13 54:5
 54:18 55:10,19 60:22
 61:6 62:20 69:16 74:2
 79:19 81:14 98:8
 105:16,18 124:13
 144:8 201:5 220:10
 272:11 279:10 280:16
 290:3,21 291:1
 297:20 302:19 303:6
public's 54:10 62:15
publish 222:22
published 39:21
pull 36:20 125:22 166:2
 223:19 266:3
pulling 150:18

punishment 221:14
purely 53:2 54:2
purpose 5:20 6:9
purposes 48:6 226:17
pursue 42:16 254:13
pursued 259:19
push 180:6 229:10
 233:4
pushing 133:22
put 39:18 41:18 42:4
 47:19 57:16 71:15
 81:9 84:16 91:21
 113:11 151:12 158:22
 178:17 195:7,14
 196:14 199:5 202:8
 223:15 225:3,4
 232:22 234:12 246:9
 257:21 280:10 283:22
 294:14
putting 109:18 281:7

Q

Q&A 4:12,16
QA/QC 124:5 251:4
 276:21
quadrant 262:7 277:13
 277:14
Qualification 155:2
qualified 238:7
qualitative 166:19
 167:2,22 238:7
 253:15 262:10
qualitative-type 254:4
quality 24:3 124:3
 158:9 159:1,18,18
 173:22 212:1 213:12
 213:14 214:13,16,21
 215:5 276:19 277:12
quality/validation
 178:13
quantitative 166:20
 168:1 238:12 253:12
 254:3 262:20
quartile 203:13 217:6
quartile/bottom 203:13
question 9:20 27:8,20
 34:11,17 37:5,6,7
 43:8 49:11 56:7,15
 68:18,22 69:2 70:16
 71:10 75:4 98:13
 109:15 110:14,20
 111:1 118:16 119:6
 119:13,20 120:21
 122:5 128:13 131:1,5
 131:14,18 141:21
 145:3 146:10 149:16
 155:18 160:9 182:17
 200:5 209:13 214:15

215:2 216:14 218:16
 218:19 229:15 249:2
 256:12 271:6,17
 281:16 282:2 283:8
 292:3,4 298:19
questioning 300:12
questions 10:8 26:18
 26:19 30:12 36:7 38:6
 40:21 56:6,10 67:6
 107:22 108:2 112:7
 113:19 114:13,14
 120:17,18 133:16
 135:3 136:20 143:18
 144:1,15 149:21
 155:12,14 165:12
 167:11 169:3,4
 171:20 179:2 182:15
 185:18,21 187:19,20
 188:22 189:2 193:1
 195:15 200:18 202:17
 204:12 206:7 208:5,7
 208:18 211:16,18
 213:2 217:13 218:11
 223:22 224:12 225:10
 235:17,19 236:14
 237:8,17,18 238:16
 243:16,18 245:11
 247:5,14 248:21
 249:14 254:18 263:6
 265:1 266:18 277:21
 281:22 291:2 298:16
 301:16 302:2
quick 43:8 98:12
 109:15 178:9,10
 188:5 240:20 302:16
quickly 26:16 179:19
 303:11
quite 19:15 31:21 40:10
 57:1 63:8 70:20
 153:17
quorum 14:7 18:3
quote/unquote 231:8

R

R&D 45:11 152:8
 153:10 154:13 161:1
 164:2,6 197:17 262:4
 275:22
Railroad 94:1
raise 9:19 34:10 37:1
 47:21 77:15 109:8
 196:9 268:22 269:21
 270:12
raised 209:14 274:11
raising 36:4
rallying 11:19
ramblings 61:15
Randolph 118:18

Randy 2:9 17:14 28:1
 36:14 38:3,7,8 41:2
 43:7 44:22 70:16
 72:20 81:20 82:15
 84:10 85:16 87:2 96:6
 98:14 104:16 109:14
 266:11 274:10 275:1
 296:7
rapid 180:2
rapidly 29:4
rare 22:6
rationale 98:9 104:10
 278:16
rattling 157:20
reach 187:18 238:22
reached 7:15 172:11
reaches 10:7
reaching 239:18
read 10:18 20:2 29:8
 43:20 55:2 59:17
 62:18 72:17 142:3
 169:12 186:15 224:11
 245:19 246:14 260:10
 263:15
Reader's 263:2
readily 139:1
reading 131:15 146:12
reads 205:15 261:5
ready 32:6,8 33:16 38:9
 50:6 87:2 172:3
 191:11 290:16 291:14
 295:7
real 88:7 150:13 178:9
 178:10 188:4 201:16
 202:1 240:20 302:16
reality 52:18
realize 58:21
realm 261:7
reason 45:1 57:18 90:9
 93:6 113:16 146:5
 158:2 255:1 277:18
reasoning 230:4
reasons 22:19 59:19
 159:2 163:7 181:15
reauthorization 21:5
 24:22 48:14 81:8 88:3
 232:19 295:19
recall 38:11 106:17
 108:19 129:2 137:6
 254:6,19,22
recalling 179:8
recap 4:20 26:16 85:11
 152:12
receive 54:11 244:10
 248:7
received 6:18 183:12
 210:16 216:13 239:13
recognize 18:18 30:3

113:15 160:4 183:15
 233:11 254:7 281:15
recognized 107:18
recognizes 129:5
recognizing 19:6 25:11
 45:18 105:22 127:7
 158:20 181:14 277:1
recollect 72:5
recollection 74:5
recommend 43:2 73:17
 150:14 193:12 283:18
recommended 45:12
 106:20 116:22 154:19
 161:19 162:1,5 163:2
 247:2 250:12 276:17
 286:2,18
recommending 181:10
recommends 87:20
reconcile 277:16
record 85:4,7 190:17,18
 266:21
redundant 246:18
refer 38:5 114:3 175:17
 210:2 223:18
reference 6:19 37:17,18
 143:19 147:7 150:2
 173:8 193:10 249:20
 285:17
referenced 133:10
 141:12
references 157:20
referencing 7:2 30:1
 155:1 181:12
referred 192:15
referring 85:10 106:6
 285:13
refers 105:20 170:14
refine 154:7 166:5
 178:4 224:21 229:11
 229:20 287:22
refined 38:17 297:7
refinement 31:18 32:17
 146:2 237:4
refining 154:2
reflect 255:15
reflecting 117:9
reflects 138:3
reframe 125:9
refresh 160:11
regard 9:8 37:8 177:20
 212:16 297:8
regarding 39:19 286:22
regardless 254:13
 264:18
Register 290:22
registration 297:21
regular 45:15
regularly 48:14

regulate 131:10
regulation 22:22
 234:14 252:14
regulations 23:4
 123:12
regulator 222:10
 281:16
regulators 55:10 79:7
regulatory 2:9 4:9
 22:21 33:3,4 45:12
 49:3,15 58:22 77:5
 86:2 87:9,13 95:8,11
 105:14 132:1 163:11
 164:10,22 193:17
 250:5 252:9 254:9
 285:14
reinforce 230:12
reiterate 162:21
reiterated 256:5
reiterating 157:21
relate 119:20 136:9
 234:7
related 90:20 91:5
 99:17 111:3 155:7
 173:3 188:11 195:8
 243:5
relates 108:17 186:21
 201:2 236:11 260:19
 264:11
relating 66:2
relational 235:14
relationship 215:22
relationships 215:18
relative 245:18 261:14
 261:18 279:4
relatively 158:16
release 89:4 91:5
releases 90:22
relegated 54:4
relegating 61:4
relevant 158:21 160:21
 207:1 263:1 271:1
relief 177:9
relies 255:21
remain 216:19
remainder 151:16
remaining 283:7
remains 287:8
remarks 4:5,20 9:21
 10:10 14:1 21:16,21
 26:17
remember 12:19 72:6
 72:12 94:15 213:16
 214:3 272:17
remembered 152:20
remembering 127:12
remind 9:2 37:16,21
 103:10 287:11

rep 14:22 15:1
repeat 205:21
report 4:7,8,14 19:17
 35:2,5,6,10,13 41:17
 45:13 68:8 70:5 80:13
 80:21 81:14,17 91:3
 92:2 97:22,22 98:6
 104:9 109:19 128:2,7
 128:10 138:3 143:9
 156:4 160:4 213:13
 213:17 226:4,18
 228:9 232:18 252:3
 252:22 257:10,22
 265:8 266:14 276:11
 284:3,20 287:20,21
 288:18 289:5,20
 290:13 291:14 294:15
 295:18 297:9,14,15
 297:20 302:1,3 303:1
report- 25:16
report-out 27:17 28:10
 28:16 36:11 104:19
report-outs 25:7 27:1,2
 28:15 30:1 34:16
 104:17
reported 12:21 90:20
 171:1,4
reporter 304:6
reporting 28:17 56:20
 91:9 127:21 146:15
 252:18 282:15 284:13
 286:9 291:20 297:12
 301:19
reports 28:18 69:20,20
 103:18 143:13 148:14
 244:9 284:7
represent 14:9,11
 15:14
representation 38:20
 46:9 142:18
representative 9:7
 14:14,16 102:6
 225:13
representatives 74:1
 104:8 105:15,18
represented 46:19 47:2
 144:9 211:12 217:3
representing 14:20
 15:5,8 16:3
represents 105:12
reproduction 205:16
reputable 211:12
request 92:18 254:10
 254:12 265:6
requested 47:15
requesting 88:2
require 163:8 253:19
 258:3

required 95:13 155:9
 157:13 166:20 170:11
 170:11 174:16 178:13
 256:8 278:1
requirement 6:3 56:12
 165:1 180:7,9
requirements 128:22
 157:11 163:12 178:12
 185:12 196:14 256:3
 257:20
requires 11:8
requiring 159:7 163:1
research 2:11 3:10
 39:19 45:4 57:9
 105:17 112:20 137:20
 201:3
reside 75:1 197:22
resides 57:2
resolution 168:7
resolve 179:13
resolved 234:16
resources 57:3,4 84:6
respect 43:4 106:1,12
 115:8 137:5 176:8
 246:18 276:20
respected 150:13
respective 107:7
 248:19
responders 12:18
response 96:2,4 100:8
 100:10 102:5 103:6
 104:14 108:4,7 112:8
 113:20 114:16,18
 122:15,17 129:20
 132:18 135:5,7,9,20
 135:22 136:21 137:1
 145:16 147:20,22
 152:1 155:15,17
 162:16 167:15 169:6
 169:8 171:21 185:6
 185:22 186:2 187:22
 188:2 189:3,6 193:3
 194:3 195:18,20
 202:16 205:5,7
 206:10,12 211:19
 213:3 217:15,17
 224:3,5 235:3,21
 236:15 237:11 243:19
 243:21 245:12,14
 247:15 249:15 259:3
 263:7,9 265:2 284:12
 303:17
responses 260:21
responsibilities 48:6
 66:1 75:1,10 148:8
responsibility 65:10,20
 66:18 148:7
responsible 47:20

66:10 236:7
rest 67:8 162:10 234:1
 304:15
restaurants 25:18
restrooms 8:22
restructured 105:6
result 167:7 170:17
 171:7 204:6 215:20
 215:21 221:13
resulting 191:20
results 88:8 167:7
 203:11,13 215:10,13
 215:14 217:10 279:4
resumed 85:7
retain 228:3
retaliatory 92:1
retrieve 12:10
retrieved 222:14
return 90:13
reveal 100:3
revealed 99:11
revealing 91:1
reverberates 154:15
reversed 277:15
review 21:11 60:5 116:2
 217:2 267:4 288:4,8
 288:13,20 291:22
revice 60:5 154:7
revised 87:16 241:11
revising 170:21
revision 154:1
reword 165:21
rewrite 250:18
rewrote 87:16
RFL 243:1 294:20
 296:11
rights 185:11
rigid 158:16
rigorous 260:13
risk 6:10 55:12 57:2
 111:4 198:10 260:19
 261:3 263:20
road 127:12,16 165:8
roadmap 293:14
roads 163:7
Robert 1:21 16:21
Roberti 3:17 131:4
 132:4,7 149:4 150:22
 156:3
robust 78:5 81:17
 102:18 250:13 251:3
 255:10,12,19 289:4
 294:14
role 40:19,20 42:21
 61:5 70:22 123:1
 136:13 281:15
role-based 237:13
roles 75:9 139:8 148:8

roll 14:6 49:20
rolling 59:22
room 9:11 11:9,13
 13:12 14:4,7 15:15
 18:11,14 36:8 52:10
 54:15 56:1 57:21 58:3
 59:9 60:8,9 61:21
 67:8 78:19 82:2 96:3
 191:7 224:4 273:16
 273:17
ROSEN 1:21 153:8
 197:6 203:8,10,11
 225:21
routines 238:13
RP 115:1,3,17,20 118:8
 120:13 126:1 157:16
 157:18 158:1,3
 163:15 165:4
RPs 157:8,12 159:11
 163:9
rulemaking 234:13
rulemakings 234:8,10
rules 33:13 234:10
 250:14
run 12:22 39:3,9 42:11
 47:8,12,20 48:7 72:15
 183:19
running 43:12 226:13
runs 130:13,14
rush 19:19
rusty 12:5
RVI 211:13

S

SA 212:4
safe 13:1 161:16 174:19
 175:15,16
safely 91:16
safer 61:2
safety 1:3,19 2:5,8,12
 2:13 4:2 6:1 8:1,15
 10:18,19 20:9 23:2,5
 23:7,13 24:10 54:18
 55:19 59:16 69:16
 76:11 88:11 91:2,14
 92:4,22 93:11 96:16
 111:9 113:18 115:22
 116:19,20 117:21
 120:4 123:17,19
 127:8,13 143:4
 144:10,11 200:10,16
 200:17 221:6 262:22
 263:22 266:2 279:4
satisfactory 197:11
sausage-making 202:5
saw 43:10 177:8 181:17
 229:2
saying 76:4 80:8 105:8

128:2,18 134:22
 144:22 156:20,22
 174:6,13 177:13
 183:10 203:8 222:7
 234:13
says 76:20 96:12 121:9
 145:5 154:16 167:18
 178:10 187:3 212:14
 224:14
scanning 187:5
scare 181:5
scares 176:19
scary 198:3
scatterbrained 124:16
scenario 198:5
scenarios 81:21 82:10
 200:10
scene 94:12
schedule 19:7 24:1
science 56:12 212:6
scope 143:21 193:22
 199:8,21 226:3
 259:14
screen 6:16
se 1:13 74:9 165:22
 194:18 223:20 278:8
Seal 1:21
seam 199:14
second 52:13 54:4
 56:17 85:4 105:19,21
 110:15 156:2 244:1
 259:14 260:11 261:17
 262:7,7 263:11 285:8
 292:4
Secondly 296:15
Secretary 6:13,15 7:16
 21:2 22:2,16 24:21
 35:13 45:10 58:12
 70:10 79:18 87:21
 92:11 98:7 149:10
 226:18 296:18,21
Secretary's 73:1
section 5:21 13:6 50:9
 50:10 108:12 128:4
 131:6 143:10 182:9
 200:1 246:6,11
 283:12
sections 95:14 291:14
 293:20 297:13
sector 46:6
secure 7:18 58:9
 233:17 237:3
security 11:15 12:17
 244:20 249:5,11
 276:21
seeing 51:7,17 69:19
 77:8 82:7 148:15,20
 230:17

seek 87:21 94:13
 246:21
seen 23:18 43:11 48:1
 63:8 68:13 69:12
segments 261:13
select 133:2
self-audit 116:14
self-executing 94:16
self-serving 54:7
SEMS 128:19
send 291:17,21 297:15
 302:8
sending 37:14 284:18
sends 291:16
Senior 2:1,4,16
sense 31:13 32:20 33:6
 55:14 66:9 67:14
 70:11 71:18 73:22
 75:18 99:8 109:6
 113:9 147:2 159:14
 176:3 177:9 179:17
 181:21 182:3,15,20
 200:4 223:13 231:1
 234:21 235:7 253:5
 257:7 258:11 271:14
 287:18 292:10 296:1
 300:8,20
sensing 33:10
sensitive 133:20 134:2
 270:10
sensitivity 269:1
sent 215:10
sentence 76:19 77:4
 214:11 260:12 261:4
sentences 285:6
separate 35:22 88:14
 141:16 168:16
separately 130:18
separation 250:14
September 153:19,21
series 105:2 182:7
serve 198:22 202:3
serves 120:9
service 1:16 15:8
 105:16 106:13,21
 107:3,8 123:16,18,22
 124:1,1 130:6,7
 135:13 136:4,18
 154:17 180:17 198:15
 215:9 216:20 217:2
 223:10
services 12:16 197:8
serving 5:7,11
session 194:17
set 11:12 18:14 28:12
 34:9 72:13 82:20
 105:21 106:9,10
 108:14 113:4 120:1

164:11 182:9,12
 191:15 193:9 247:17
 252:11 253:2 254:21
 266:1 269:14 270:4
 278:20
setting 34:6 36:8 88:16
 137:9 183:4 239:15
 255:6 271:22 275:14
seven 25:11 28:15
 76:18 224:18 297:17
shape 20:14
share 21:16 23:10 30:8
 55:17 90:2 130:11
 137:9 143:2 144:8,13
 160:21 167:5,5 170:2
 173:5 188:16 189:19
 212:14 216:2 221:5
 222:9 229:14 264:14
 264:17 265:7 268:14
 270:22 272:5 280:19
 283:14 290:16 304:10
shared 59:3 89:21,21
 89:22 98:20 99:1,10
 105:2 106:17 112:11
 117:14 133:7 162:7
 168:20 173:15,17
 178:21 197:7 206:3
 207:21,21 219:5
 222:18 223:11 257:1
 261:9 268:10 272:1,5
 273:11,11
sharing 4:9 5:5 6:4,6,8
 7:4,19 18:4 20:13
 48:7 76:11 78:22
 82:19 104:18 105:1
 106:11 112:16 113:10
 130:2 131:6,9 133:13
 136:11,16 137:5,13
 138:16,21 148:15
 154:16 159:16,17
 166:18,22 167:19
 168:11 169:1 170:10
 178:11 185:8 186:8
 191:14 195:4,11
 204:22 205:10,16,21
 207:6 208:1 209:3
 215:13 216:7 218:20
 220:16,21 221:14,15
 221:22 239:7,7,20
 241:17 259:16,17
 260:7,18 261:2 262:1
 265:10,18 266:1
 269:3,8,12,15 273:22
 274:3 275:6 276:14
 276:15 279:5,22
 280:1 299:8
she'd 27:11
shelter 11:5

Sherman 17:17
Sherry 3:7 16:2 56:5
 120:19 141:9 179:4,6
 180:20 255:14,18
 258:12 270:17,17
shift 152:6
shine 294:5
shooter 12:21
shop 216:1,12
shops 212:10
short 37:14 81:2 85:11
 123:21 134:15 258:5
 274:19 291:3
shortchange 177:17
shortly 154:10 206:2
 282:18 289:21
shot 60:15
should've 6:18
show 25:15 70:6 96:8
 139:7 192:6 262:21
 280:12
showed 139:17
showing 58:12
shown 55:13 114:1
 265:8,8,9
shows 42:3 49:4 108:20
side 18:15 53:8,9,22
 54:1 63:14 176:5
 210:3 256:3 277:10
 293:7
side-by- 293:6
side-by-side 41:5 74:18
sides 53:12
sign 93:22
significant 20:8 47:3
silence 9:9
silos 80:2 234:18
siloed 102:10
similar 43:6 45:3 50:20
 68:13 82:17 93:22
 95:8 162:22 187:14
 199:6 209:3 229:5
 236:22 243:15 255:2
 265:15 267:7 286:16
 287:15
similarities 41:9 50:3
 77:1 96:8
Simona 2:11 52:8 54:14
 54:15 55:22 77:15
 82:8 146:8 301:17
simple 137:8
simplified 279:17
simplifies 139:10
simplify 140:11
simplifying 231:2
simply 31:17 59:17
 113:9 114:11
simulation 210:17

single 83:20
sink 96:22
sir 184:4
sit 16:6 74:3 79:3 97:2
 115:14 155:3 182:2
 197:6 234:5,18
site 153:12
sitting 50:4 57:18
situation 33:5
situations 95:13,17,18
 200:16
six 29:18 40:6 66:14
 87:22 88:1,5 261:15
size 223:7,12
skill-based 257:4
skills 243:10 256:2
Skip 22:2
Skype 6:20 36:22 37:13
 37:14 38:5
sleeves 49:20
slide 7:3 27:17 278:8
slowly 132:13
small 15:10
smaller 57:3
smithing 31:16 32:1
SMS 88:9 124:5 128:18
 149:9
so-called 195:8
soapbox 75:15
SOAR 267:7
Society 188:9
software 236:12
sole 236:7
solely 44:15
solicit 69:16
soliciting 69:4
solution 23:12 57:8
 62:10 63:8
solutions 1:19 2:2 59:3
 262:2 293:8
solve 183:3
somebody 168:13
 180:12 219:1
someone's 221:9
somewhat 43:13 62:18
 128:4 161:4 177:11
 213:9,19 276:7
Sonal 3:16 15:20
 101:11,14 281:1
soon 293:9
sorry 44:20 82:12
 110:18,21,21 152:18
 156:21 205:2 212:22
 227:1 229:2 240:13
 242:4 251:11 266:5
 281:5 301:7,12
sort 21:7 28:11,12 41:5
 49:4 50:10,16,17

58:19 78:19 79:6 80:1
 80:17 86:17 96:17,22
 98:2 102:10 108:12
 108:14 118:7 120:9
 142:7 166:9 174:14
 182:16 184:14 189:18
 204:18 220:13 232:7
 232:7,14 233:22
 234:9 239:5 268:21
 270:4 273:3 278:11
 278:11 281:14,16
 282:9 284:8 286:22
 293:12,14,16 294:4
 295:10 297:4
sound 11:4 21:1 64:6
 86:22
sounded 292:13
sounds 12:9 184:18
 209:19 242:17 257:8
source 58:7 274:6
 275:20
sources 69:7 138:20
Southeast 10:22
space 182:22
speak 18:11 36:9 61:9
 95:11 175:19 224:13
 228:18 246:4 268:20
 281:3
speaking 9:15 36:14
 154:8 178:22
special 303:22
specific 7:14 47:16
 69:7 102:10 127:22
 136:10 139:11 143:19
 147:7 199:20 200:10
 212:5,13 231:9 233:4
 239:4 272:14,20
 282:6 284:19 285:14
specifically 25:8 67:20
 99:4,9 125:8 145:5
 157:19 173:5 186:12
 188:11 191:17 222:16
 225:21 246:12 253:12
 254:20 260:5 262:2
specification 168:3
specifications 167:20
 167:21
specifies 146:18
specify 32:12
spectrum 199:22
speech 22:5
speed 296:14
spend 31:15,22 287:20
 288:6
spent 31:11 73:19
spin 78:12
spirit 118:3
splinter 83:16

spoke 216:21
spoken 239:15
spot 91:13
spreadsheet 283:12
stack 221:12
staff 4:3 9:7 45:17 56:6
 244:3 304:1
stage 28:12 69:19
stages 92:14
stakeholder 46:10,19
 47:2 136:10 144:8
 212:9 259:22
stakeholder's 216:12
stakeholders 62:15
 69:15 71:2 105:12
 108:21 144:14 205:14
 206:18 207:1 210:12
 219:4 244:10,14
 246:7,13 253:18
 262:11
stakes 218:9
stand 48:17 92:14
 230:21 292:12
stand-alone 39:1 40:1
standalone 133:21
standard 58:20 115:9
 155:1,3 179:14 180:4
 186:10,14 236:18
 238:8 275:15
standardize 171:4
standards 156:7,16,17
 158:8 161:16,22
 162:6 163:3 165:22
 168:22 186:18 187:17
standing 228:7
standpoint 110:12
 127:11 130:19 177:1
 214:17 230:21
stands 48:12
start 7:13 14:9,9 27:10
 38:9 45:13 76:15 88:2
 105:8 107:20 152:9
 161:5,6 163:1,5
 178:18 188:16 190:8
 210:10 256:8 287:5
started 8:13 28:10 80:8
 90:15 151:14 191:9
 209:4 257:20 259:1
 292:6
starting 83:1 92:18
 115:2 119:20 140:4
 189:12
starts 24:22 204:7
 246:20
startup 102:18
state 1:16 13:14 14:8
 15:7,8,13 18:18 90:7
 90:18 95:8 105:15

107:17 111:10 112:2
 144:12 145:10 222:10
 281:16,17
stated 140:3 146:20
statement 4:4 7:8,11
 8:8 112:4 119:17
 149:13
statements 60:9
states 170:9 185:7
 281:10
static 240:5
statistics 262:20
statute 58:6 246:8
statutory 94:16 156:9
 164:5,9 166:8,14
 232:9 252:12
stay 16:9 149:6 207:10
 250:19
stealing 175:8
Steering 263:19
step 71:20 79:20 178:3
 184:14 194:14 198:4
 282:9 284:3 287:5
 294:11,16 304:9
steps 21:4 81:3 145:19
 148:21 284:9,16
 295:20 297:4
stood 196:19
Stoody 3:18 15:18,18
 26:21,21 63:21,22
 75:7 162:19,19
 174:12 193:6,6 199:3
 199:3 225:16,16
 273:6,6
stop 40:21 76:16
 120:16 224:17 251:18
stoppage 181:20
stopping 139:15,16
stories 280:12,20
straight 120:11
strange 91:11
stranger 21:15
strategic 7:8,10 65:4,10
 65:15 66:4,18,22
 68:20 86:12 119:16
 273:19
strategies 69:21
strategy 1:20 13:1
stream 102:10
street 11:18
strength 223:3
strengthened 115:5
 127:6
stress 289:17
striking 50:20
strong 67:22 83:5
 113:18 161:15
structurally 146:22

structurally-oriented 259:20
structure 5:18 57:11
 64:5,17 75:8 77:5
 78:9 96:13 158:8,16
 158:16 159:1,4
 178:16 258:9 271:22
structured 20:6 75:12
 76:9 102:14 274:22
structures 161:2
struggled 229:16
struggling 273:15
stuck 152:4
studied 39:20
study 83:2 180:8
stuff 80:20 95:16 100:3
 151:4 184:16 189:19
 227:22 256:4 267:5
sub- 272:20
subcommittee's 74:14
 181:7 247:11
subcommittees 25:7
 25:12 27:12 28:16
 32:6 49:2,17 82:6
 146:11 148:19 232:2
 282:15,22 285:4,20
 286:15 287:22 289:11
 291:13 292:5 293:3
 295:8 297:9 299:19
 302:22 303:7
subgroup 121:20
subject 90:17 191:19
 244:4 250:3
submission 297:10
submissions 238:10
submit 10:14 98:6
 117:12 165:3 248:17
 250:6
submitted 28:17 89:8
 125:1 153:22 171:5
 171:18 212:1 223:9
 259:12 302:1
submitters 277:21
submitting 35:4 89:1
 124:20 248:4 272:3
subpieces 136:9
Subsits 2:13 17:18,19
 72:4 95:3,21
substantive 19:10
 51:19 164:17 278:13
 294:15 295:18 300:21
substantively 103:17
success 53:15 130:19
 150:20 159:6 218:9
 263:13
successes 69:12
 259:15
successful 64:3 68:15

79:4 250:17
successfully 120:7
sufficient 92:14 93:7,8
 176:15
suggested 75:21
suggesting 299:22
suggestions 135:3
summarize 28:22 30:9
 46:11,13 87:20
 201:11
summarizing 85:17
summary 35:16 118:7
 202:10 258:14
Sunoco 2:4
super-familiar 157:10
support 59:13 61:7
 75:20 77:18 79:13
 145:2,11 151:10
 174:5 175:4 185:16
 235:6 248:6
supported 40:6 72:11
 72:16 140:18
supporting 175:3 231:1
supportive 101:16
supports 121:12
 166:21
supposed 124:21 173:1
 190:10 272:17
surely 175:21
surprise 59:12 255:4
suspect 26:6
sustainable 94:6
 100:14 103:1
sweep 13:12
sync 278:6,8
synergistic 149:9
system 1:5 6:6 7:19 8:9
 18:4 46:5 56:20 58:9
 58:22 72:8 93:3 98:20
 102:13 115:22 116:21
 117:21 123:18,19
 127:13 158:14 170:10
 178:11,14 185:8
 186:8 191:14 195:4
 195:12 205:10,11
 207:6 219:16 224:16
 225:9,19 229:8 230:9
 233:2 255:6,12
 256:18 258:1 260:4
 260:14 275:16 278:20
system's 23:5
systematic 192:21
 249:20
systems 8:6 23:7 43:12
 118:21,21 119:15
 127:9 128:16 129:5,6
 133:1 138:1 255:22
 263:14

T

table 13:6 14:8 16:6,11
 49:4,8,13,16,21 57:16
 57:19 60:14 63:14
 68:21 74:16 75:21
 77:6 135:4 138:3
 139:8,17 140:18
 142:13 187:2
tables 285:10
tackle 200:17
tactical 65:10,15 66:18
 86:12 258:10
Tahamtani 3:19 15:2,2
 21:19 24:7,14 113:16
takeaway 112:22 141:5
 232:8 294:12
takeaways 85:19 98:6
 148:21 165:12 214:5
 257:11 275:2,3 294:6
taken 20:9 95:5 219:21
takes 58:22 77:14
talk 25:8 39:7 40:22
 41:18 52:8 58:8 92:16
 93:18 95:5 97:9 99:8
 113:16 118:19 134:1
 136:11 141:11 142:13
 143:10 154:10 155:22
 169:16 173:22 182:14
 187:6,16 215:15
 227:15 239:3 260:20
 263:16 287:17 291:6
 291:8,10 304:9
talked 57:9 84:19 88:17
 90:12 99:15 106:5
 112:11 136:5,6
 138:17 155:21 178:15
 181:4 185:14 206:16
 207:13 211:8 212:2,8
 217:22 223:2 238:17
 246:15 249:4 250:8
 253:14 260:3 263:17
 276:18 277:10 283:11
 299:5
talking 31:12 49:9,14
 58:21 61:12 82:5
 90:15 95:16 110:5
 139:6 141:13 146:18
 154:22 157:5 167:1
 168:18 173:6,12
 186:21 215:12 246:9
 266:7 293:4 296:16
talks 44:5 92:9 116:10
 133:20 148:5 186:7
 186:12,16,17 187:11
 246:6,11 251:21
tangible 83:3
target 151:16
targeted 243:6

targeting 258:2
task 62:4
tasks 28:6 39:13 282:21
 282:22
TDC 210:18
teaching 249:21
team 24:6,10 34:22
 39:10 40:20 143:9
 186:5 206:16,21
 210:2,5 213:18 218:5
 218:18 225:22 244:13
 265:20
teams 39:17 180:6
tech 150:2,2 162:11
 166:18 167:18,18
 170:8,13,13 172:22
 173:6,12 174:7,13,13
 175:1,22 178:7,7,8,9
 179:13 186:4,7,12,16
 186:17 187:16,16
 188:5,5 191:1,13,13
 199:22 209:15 211:7
 211:16,22 213:6,22
 217:19 220:15 233:1
 240:15,20 241:10
 243:15 280:3
technical 160:2,15
 214:20 229:17 253:14
 254:2 279:14 285:13
technically-wonky
 189:17
technique 187:7
techniques 188:10
technological 8:12
technologies 120:3
 123:9,11 186:22
 197:1 198:14,16
 207:9 208:13 230:8
 240:4 279:3 280:14
technologies' 217:20
technology 2:1,19
 107:15,17,18 112:20
 113:2 120:14 121:19
 135:16 152:8 153:10
 154:13 164:2,6 201:2
 211:2 230:21 233:14
 233:17 234:3 250:9
 261:22 262:4 280:11
 293:21 299:7
technology- 190:1
Technology/R&D 4:10
tee 81:7 232:11
teed 232:17
tees 166:10
telephone 3:22
tell 22:5 242:6 273:17
tells 223:19
template 251:17

- ten** 28:6
tend 158:18
tenets 245:22
tent 9:19 18:15 109:8
 212:21
term 53:6 70:5 108:18
 117:3 123:21 128:21
 291:3
terminology 244:15
terms 10:18 25:16 27:7
 29:6 31:18 41:6,22
 50:11 51:15 66:9
 70:21 86:16 96:18
 100:1 111:11 123:1
 143:20 162:1 164:15
 168:21 189:20 193:10
 197:14 238:18 241:15
 241:16 262:22 269:1
 270:12 272:18 278:7
 282:19 287:6,16
 288:11 291:6 293:5
 294:19 297:6
testing 89:19 123:10
 135:15 188:9
tests 204:18,20
text 146:17 152:3 182:6
 225:5 227:19
thanks 42:18 52:12
 58:5 61:22 63:20
 82:15 100:6 102:20
 119:11 124:11 129:21
 145:13 167:16 170:7
 190:12 198:1 204:10
 235:8 240:11 253:6
 270:14
Thanksgiving 289:21
Thebert 17:20,21
theme 150:19 286:4
themes 260:3
thereof 195:9
they'd 61:11
things 9:12 20:2 21:5
 28:20 31:4 41:4 48:22
 55:4 64:10 68:20
 69:11 80:19 91:4,9
 97:16 99:10 103:22
 104:1,2 120:3 134:2
 136:5,6 137:8 142:14
 152:6 159:7 160:12
 161:2 163:11,19
 165:7 172:12 173:12
 176:17 179:11,22
 193:14 199:20 201:18
 206:4 215:7 224:22
 225:20 226:3,10
 227:16,20 228:6,15
 230:5 231:21 232:6
 233:9,10,12,13,20
 234:7,8,15,19 240:2
 244:22 249:22 252:4
 252:17,20 253:2,14
 257:3 258:7 267:19
 268:6,9 269:6 283:9
 283:17 284:19,21
 285:5 286:7 288:1,9
 293:17
third 53:7 54:9 75:6
 106:4 113:21 157:6
 244:17 259:15 262:13
third- 179:12
third-party 39:10,22
third-party 39:10,22
 40:2 43:16 44:6,13,17
 102:8 116:11 179:9
 212:4 237:15 243:14
 245:7 256:2 277:20
thought 28:8 41:4
 59:18 61:12 62:6 72:9
 72:12,21 92:21 93:15
 99:2,6 103:9 109:18
 120:21 121:9 131:8
 146:17 148:11 170:4
 196:9 203:20 210:7
 214:8 220:2 228:15
 233:12 270:13 282:8
 288:3 289:7 293:5
 300:4
thoughtful 220:20
thoughts 20:14 29:21
 67:10 103:14,18
 111:9 152:13 234:22
 270:16 274:9 280:22
 293:13 296:10 303:16
 304:10
threat 187:1,8
threats 217:22
three 24:8 65:12 66:10
 106:14,16 127:15
 136:9 139:9,13 142:5
 173:2,9 176:1 178:7
 199:13 243:4 261:13
throw 222:6 240:8
throwing 296:22
thrust 131:8
thunder 175:8
Thursday 302:20 303:2
tie 114:11
tied 92:22 97:15
tiers 40:10,11,13
tight 78:12
timeframes 211:1
timely 20:17
times 23:16 88:17
 132:9 133:10
timing 130:19
title 243:4
today 5:4,9 7:14 10:3
 22:4 25:5 30:2 32:2
 41:16 51:21 75:12
 112:13 115:4 119:21
 122:5 209:6 215:16
 226:15 227:21 239:14
 241:7 242:10 260:4
 265:19 273:17 278:5
 283:14,22 285:19
 287:15 291:11 292:19
 293:12 294:4 302:22
today's 6:19 10:12 25:6
 224:22 276:18
toes 71:20
told 35:6 229:4
ton 201:12
tool 199:15 200:11,12
 203:5 253:20 264:3
tool/technology 191:16
tools 186:22 193:13,16
 203:1,3,21 204:1
tools/technologies
 186:14
top 203:13 217:5
topic 261:17
topical 286:17 287:2
topics 176:7 177:20
 180:7
tornado 11:6
total 259:12
totally 159:4 177:2,2
 230:2
touch 300:22 301:1
touched 32:4
touches 260:3
track 24:16 207:3
trade 74:2 107:12
 137:18,22 268:12
trades 163:8
traditionally 58:18 65:3
traffic 271:5,7
train 248:2,10 251:14
 251:15,17 253:11
 254:1
train-the-trainer 248:13
train-the-trainer-type
 248:12
trained 132:7 212:11
 247:20
trainers 248:18 250:3
training 4:11 211:22
 214:12 215:4 242:3
 242:14,20 243:7
 247:18,19 248:11
 249:2,7,7,12,18,19
 250:5,16 254:11,11
 254:15,20,22 255:2
 255:20 256:2,9 257:5
 258:11 262:9 276:20
 294:1
transcript 18:13 283:19
Transfer 1:18
transition 55:4 82:22
transmission 6:9 8:2,3
transparency 202:3
 279:1
transparent 55:15 76:7
 279:9
Transportation 1:1,13
 2:14 6:14 7:17
Transportation's 10:21
travel 303:9
TRC 2:1
trend 91:13 192:6,7,7
 197:10
trends 210:5
tricky 162:22
tried 29:16
trigger 252:14
trip 252:21
trip-ups 296:4
tripping 13:3 221:20
trouble 176:20
truly 75:11 81:3,5
trust 1:20 55:11 59:16
 60:12,13 76:5 78:7
 88:18 144:10 170:18
 171:13 173:19 192:9
 223:3 245:22 274:2
trust-building 55:8
try 10:10 19:8 29:18
 35:15 37:21 62:18
 75:16,17,19 93:3
 113:3 131:12 178:3,4
 258:18 273:20 291:16
 299:6
trying 34:7,9 37:22
 46:21 53:4,13 55:14
 72:4 81:16 83:17
 88:10,12 91:8 93:14
 108:15 112:16 114:5
 124:18 131:10 160:21
 175:9 176:21 182:6
 182:15,18 183:3,4,7,9
 184:17 201:4 231:7
 268:13
Tuesday 301:20
turn 13:21 21:10 24:11
 27:16 29:1 36:6 83:6
 87:12 190:11 210:17
 283:2 290:20
tweak 164:21
twice 198:13
two 7:5 23:16 31:11
 39:4 49:17 52:14 53:6
 65:9,20,22 66:2,17
 70:18,21 72:1 74:17

99:15 106:12 127:6
 127:15 138:4 144:9
 149:5 155:20 168:16
 184:21 186:20 209:5
 224:13 248:16 253:22
 278:6 287:18 289:2
 290:3 291:15
two-day 298:7
tying 88:21 97:4 127:3
type 67:1 84:8 171:17
 187:1 189:19 219:4
 251:13
types 27:5 66:13
 110:16 112:10,12
 139:8 142:14 168:4,6
 172:13 193:18 226:3
 226:10 240:21 250:6
 253:10 261:9,19

U

U 13:6
U.S 1:1
Uh-hum 149:1 269:16
ultimate 64:11 65:2,8
 66:3,21 220:20
 221:20,22 222:5
 233:8 294:12
ultimately 5:21 6:12
 7:15 70:11 75:1
 136:14,16 158:20
 213:13 222:17 243:12
 245:6 246:17 247:4
 248:3,6 249:19
 250:22 251:9,16
 254:10 262:21 277:3
Um-hmm 41:12
umbrella 220:4 245:18
 261:2
unable 36:15
uncertainties 191:18
unclear 64:19 65:8
uncomfortable 125:7
underestimate 177:14
underneath 220:3
underpinning 102:16
underpinnings 100:18
understand 30:22
 36:13 46:22 98:9
 124:18 125:6 146:16
 148:9 149:15 160:18
 162:2 167:4 168:19
 170:16 171:12,16
 173:4 176:6 178:19
 183:2,10 184:16
 192:7,15 197:6,14
 201:6 210:10 212:6
 217:4,9 224:18 230:2
 244:14 247:7 248:8

278:18 279:16,18
understandable 201:10
understanding 29:10
 80:4 93:20 102:17
 143:17 186:7 187:13
 192:4,5 213:11 221:6
 253:21
understandings 156:5
understood 55:7
 168:11 170:17 180:19
 215:6
undertake 39:13 217:11
Unfortunately 37:12
uniform 58:20
unintended 302:17
Union 2:6
unique 191:17
unit 173:11
units 168:6
UniversalPegasus 2:19
universities 211:7,12
unstructured 175:13,15
 184:10
unthinkable 161:13
unusual 91:6
update 107:16 287:3
updated 297:14,15
upend 78:20
upfront 181:14
upload 37:12
uploaded 165:18
upper 277:13
use 25:12 31:13,17 37:7
 45:11 70:5 101:12
 108:19 109:22 110:1
 110:2 112:3 115:1,4,4
 115:7,20 116:3 120:8
 126:1,9 129:5 130:5
 131:21 133:1 134:19
 134:20 137:22,22
 156:15 161:6 165:1
 167:20 168:12 174:8
 174:9 175:11,13
 176:16 184:10 191:20
 192:9 198:9 227:18
 245:4 255:7,12
 275:20,21,21 287:16
 298:11
useful 210:7 288:5
 294:17
user 69:8 209:14,14
 210:22 218:12 219:11
users 206:15,17,17
 210:3,8,19,22 217:20
 218:8,16,19 219:1
 255:20
uses 117:2
usual 47:14

UT 200:11
Utilities 2:14
utility 2:5 15:9
utilization 192:4 209:2
utilize 21:3 79:18
 188:16 237:13 244:11
 262:11 265:20
utilized 101:18 241:12
 267:22 269:8
utilizing 249:20 269:5

V

valid 215:7
validate 251:3
validated 238:8
validation 277:12
valuable 32:1 239:13
 275:19
value 68:2,3 82:18
 133:3 145:21 171:14
 204:16 211:3 228:3,5
 230:17 260:6 279:5
 299:3 303:1
values 238:8
variable 171:12 173:16
variables 170:14 171:1
 171:2,17 173:14
 176:7
variables' 170:11
variations 201:15
variety 223:9 263:15
various 39:2 40:7,10
 64:11 71:1 96:15
 195:5 201:4 247:20
 248:14,15 263:18
 265:7 279:13
veer 75:22
vehicle 131:21 174:17
 178:20 204:19
vehicles 137:18 174:14
vendor 74:11 179:10,13
vendors 101:19,21
 117:12 198:14 203:7
 248:15
venue 259:16
venues 264:13
verbatim 245:20 260:10
 263:16
verifications 155:7
 186:10
vernacular 244:14
versa 205:20 272:9,11
version 60:2 135:12
 154:1 172:22 241:7
 263:3 291:13
versus 10:2 41:11 65:2
 104:1 125:12 168:14
 177:21 191:16 192:2
 192:13,18 194:7,11
 196:7 197:19 200:9
 200:16 210:5
vet 178:18
vetted 195:12 215:17
 216:7 229:5 275:7
viable 21:2,8
vice 1:17,20 2:5,9,16,18
 205:20 272:9,11
vicinity 9:6
view 52:14 54:10 117:4
 289:5
viewed 63:15 147:9
 281:8
violation 95:9
violations 92:2
virtual 1:8 5:13 14:4
 18:22 60:9
virtually 15:12 34:10
vision 20:16
visitor 9:1
VISS 207:8
visual 110:12
visually 114:1
volumetric 168:8
voluntarily 12:9 78:8
 89:1,8 90:15 245:1
voluntary 1:5 5:5 6:3,5
 7:4,19 18:4 20:12
 48:3 78:21 133:4
 150:9 158:15 166:18
 167:18 170:9 178:11
 185:8 186:8 191:14
 195:3 205:10 207:6
 219:17
volunteers 208:22
vote 25:11 32:7,8,18
 33:6,12,15,16,17,17
 42:15 50:7 87:2 103:7
 145:18,21 232:4
 282:3,4,7 295:5,10
voted 32:20 146:4,6
votes 282:2
voting 4:8 27:2 32:3
 134:3,13 293:10
VSI 136:16

W

wait 72:22
waiting 80:21 296:5
walk 11:17 29:1 107:19
 288:19,21
walking 62:7 108:2
Walter 17:7
wanted 23:14 24:13
 54:21 56:6 62:1 67:10
 82:13 99:4,18 101:15
 107:20 109:15 120:5

145:11 156:19 203:22
 223:15 240:17 250:11
 250:18 269:19 270:18
 277:19 296:9 301:18
 302:2
wanting 96:20 97:18
 184:9 225:14
wants 101:7
warehouse 235:13
 237:16 238:14
Warner 2:16 17:22
 141:20,21 142:1
 183:17 202:15,16
 206:16 219:8,8 220:2
 222:20
warrant 86:16
warranted 92:21
warrants 210:21
Warren 118:18
Washington 1:13 2:14
 11:1
wasn't 41:9 93:7
wasted 233:21
watching 61:1
waterfront 11:18,19
way 24:19 35:11 42:13
 45:13 46:11,12 48:1,8
 49:9 50:3 53:5,22
 60:20 67:20 71:9
 75:11 77:12 78:10
 80:11,14 81:6,11,12
 83:2 89:22 94:5
 113:11,12 115:6
 116:18 125:9 131:15
 136:13 139:4,10,12
 140:3,11,15 141:1
 143:16 146:1 152:5
 156:13 157:1,3,22
 161:6 165:21 167:8
 174:9,15,18,20 175:5
 175:11,14 176:16
 177:12,17 178:18
 181:9 188:19 189:16
 190:4 192:14,21
 193:21 199:5,7
 200:17 209:8 215:11
 215:14 218:22 221:22
 222:13 227:8,15
 228:3 232:11 233:22
 253:4 282:7 286:5
 289:10 294:9
ways 5:20 57:14 68:9
 115:10 164:21 174:16
 269:4 273:20 278:10
weave 49:14
web 238:8
WebEx 34:9
website 18:8

Wednesday 1:10
 291:11
weeds 98:3 113:8
 181:18 272:14
week 282:19 283:15
 291:17 292:2
week's 288:13
weeks 24:8 229:14
 291:15
weigh 19:2 51:22 67:20
 79:5
weighing 70:1 80:1,19
weighing-in 293:3
weighs- 213:13
welcome 4:2 5:4 12:14
 62:17 112:1 146:3
welcoming 150:9,10
 246:3
well- 102:13 150:12
went 60:1 83:1 85:6
 149:7 190:16,17
 283:6
weren't 80:10 284:2
 286:17
whatnot 220:10
whatsoever 177:17
White 3:20 12:7,12,14
 15:1,1
wholly 58:14
wider 89:22
widespread 88:19
wiggle 78:19
willing 53:19,20 60:11
 60:14 61:11 74:9
 184:6,13
willingness 304:9
wind 221:19 290:2
window 81:2 291:17
wing 199:10
wins 137:15
wish 37:9
wishes 178:5
wonder 226:2
wondering 121:11
 152:5 172:16 182:9
 227:8,15 228:2
woo 246:10 277:2
woodwork 233:4
word 31:16 32:1 126:7
 169:21 181:19 269:18
word-for-word 89:4
worded 269:19
words 90:12 114:2
 132:8 168:13 230:22
 270:20 296:18
wordsmith 164:20
 231:15
wordsmithing 128:14

work 7:9 20:22 24:17
 24:17 27:13 34:12,20
 38:5 49:22 50:19 51:2
 67:3,14 70:7 73:4
 84:15 102:12,18
 103:1,2 106:11
 108:11 112:17,19
 115:8,10 122:7,8
 130:14 133:6,9
 140:10 143:1,21
 150:8 151:1 157:3,21
 159:6 174:4 179:16
 181:8 182:22 183:14
 183:15 187:12 190:2
 198:16 215:13 230:14
 231:11 247:11 248:4
 253:3 283:16 284:9
 289:10 292:5 295:21
 296:13 297:12 299:16
 303:3 304:2
worked 79:2
Workers 2:6
workflow 117:11,16
 251:10,15 258:9
workhorse 289:15
working 1:6,12 5:5,12
 6:4,12 7:7,10,15 18:4
 24:19 28:6 29:13 31:8
 34:21 35:4 60:6 63:3
 64:9,21 82:9 152:13
 159:13 184:20 196:20
 196:22 206:5 218:10
 243:11 244:19 252:5
 273:13 298:7 301:22
workload 300:20
works 62:11 77:13
 132:12
workshops 275:3
world 68:17 288:17
worlds 65:5
worry 93:1 99:12
 303:10
worth 45:22 54:20 69:2
 72:18 303:20
worthwhile 237:2
wouldn't 72:14 93:12
 104:3 157:13 193:19
 229:10 230:15 231:15
 256:7 258:2
wrap 75:14
wrap- 284:8
wraps 254:14
wrestle 42:6
write 258:7
writing 90:6 286:1,8
written 10:14 28:18
 95:6 115:9 120:15
 183:21 218:22 285:5

290:13
wrong 72:17 80:10 87:3
wrote 258:6
www.regulations.gov
 18:9

X

XML 238:9

Y

year 88:3 163:17
 227:13
years 7:5 23:16 31:11
 127:16 184:21 209:6
yesterday 273:10 282:2
York 1:16 15:7 151:2

Z

Z 117:11 300:16
zero 149:11
Zuniga 2:18 17:22 18:1
 224:10 230:1 231:5

0

0.25 173:10
0.250 173:9
0102 155:2

1

1:30 189:13 190:9,15
1:38 190:18
10 5:22 106:3 129:4
 137:3,16 141:17
 154:3 205:17,22
 211:22 213:6 224:20
 225:4 241:5 280:1
10:06 85:7
10:23 85:7
100 139:11,22
104 4:9
11 28:8 82:1 216:18
 220:15
1163 106:20 115:1,4,20
 116:4 118:17 119:21
 120:1,13 123:8 126:1
 130:5 138:20 154:22
 155:21 165:4 215:11
 247:2
1173 113:16 115:17
 116:10 117:7 118:3
 123:1 126:2 129:3,8
 265:16
1183 163:16
11th 273:8
12 151:13 217:19
 243:15 280:1
12:00 301:21
12:15-12:30 151:13

12:25 190:17
1200 1:13 10:22
12th 153:20
13 222:22 223:21
14 4:3 224:8,14 225:7
 227:11 229:8 233:1
14's 237:1
15 81:22 227:11 235:12
151 4:10
152 4:10
16 236:6 263:21
17 236:16 264:1
18 4:4 141:13 237:12
 265:5 266:3,4 277:15
188 4:11
18th 290:1,2,4
19 238:6 276:6
190 4:13
191 4:14
192 264:19
195 264:19
199 226:14 240:22
19th 290:1,2
1D 96:12
1st 297:17,22

2

2 4:14 38:17 86:7 88:20
 93:17 112:9 150:2
 161:10 162:11,22
 163:15 166:21,22
 172:8 174:14 175:4
2-0-2-3-6-6-0-3- 12:17
20 224:8 238:11 277:5
 277:12,19 278:9
2016 6:2
2017 7:6
2018 1:10
2019 92:10
21 240:15,20 241:4,10
22 4:5 150:2
22nd 291:12,20 297:11
22nd-23rd 153:18
23rd 38:11
25 154:5
25th 153:22
287 4:19
29th 292:1 297:14

3

3 1:10 4:18 86:9 89:3
 93:17 106:8 166:18
 166:18 167:10 249:4
 265:4 277:11,18
3-3 12:18
3:39 61:16
3:48 304:16
30 95:7

303 4:20
304 4:22
32 246:20
35 87:12
36 4:8
38 89:16
39 92:18
3rd 291:11

4

4 40:14,15 74:18 75:5
 89:6 93:17 95:4 106:3
 116:13 123:7 127:3
 130:4 131:19 140:2
 167:18,18 170:13
 172:6,11,16,21 173:6
 173:13 174:7 175:1
 175:22 178:7 276:5
4-1 170:13 173:1
4-2 170:8 173:14 175:22
 178:7
4-3 173:21 175:22 178:8
 178:9,21
4-4 185:7
41 283:6
45 209:6
48 4:9
4A 124:17
4B 122:21

5

5 4:2 92:5 93:18 100:15
 106:10 119:22 120:12
 120:15 122:22 123:4
 123:6,16 135:17
 136:8 186:4,7 213:22
 224:20 241:5 247:19
 279:1
5-1 186:12,17 187:16,19
5-2 186:16 187:16,19
5-3 188:5,5
5:00 151:17
50 95:11
55 129:6

6

6 44:2 92:9 100:13
 130:1,7 132:17 191:1
 191:13,13 213:22
 249:17 251:21

7

7 42:20 74:18 106:3
 132:20 133:16 195:1
 199:22 251:6
737 199:10
7th 153:19

8

8 106:10 119:22 135:11
 136:8 199:22 205:10
 209:15 211:7 253:9
 280:3
8:30 1:14 5:2
8:45 28:4
800-53 236:17
85 77:10
8th 26:12 287:10,12
 288:6,12 289:12,14
 291:4 292:2 298:6
 302:19

9

9 106:10 119:22 136:2,8
 207:6 208:6,12
 211:16 254:5 302:21
911 12:16
95 77:10
9th 26:13 287:10,14
 288:1,8 289:12 291:4
 301:20

C E R T I F I C A T E

This is to certify that the foregoing transcript

In the matter of: Voluntary Information Sharing

Before: USDOT/PHMSA

Date: 10-03-18

Place: Washington, DC

was duly recorded and accurately transcribed under
my direction; further, that said transcript is a
true and accurate record of the proceedings.



Court Reporter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701